


Certification Form

I certify that I have read the transcript for the September 18, 2007, meeting of the Panel, and that, to the best of my knowledge, this transcript is accurate and complete.



Linda Zeiler, Designated Federal Officer



Dr. Jan M. Mutmanský, Chair

TRANSCRIPT OF PROCEEDINGS

IN THE MATTER OF:)
)
TECHNICAL STUDY PANEL ON THE)
UTILIZATION OF BELT AIR AND THE)
COMPOSITION AND FIRE RETARDANT)
PROPERTIES OF BELT MATERIALS IN)
UNDERGROUND COAL MINING)

Pages: 381 through 572/781

Place: Washington, D.C.

Date: September 18, 2007

HERITAGE REPORTING CORPORATION

Official Reporters
1220 L Street, N.W., Suite 600
Washington, D.C. 20005-4018
(202) 628-4888
hrc@concentric.net

UNITED STATES DEPARTMENT OF LABOR
MINE SAFETY AND HEALTH ADMINISTRATION

IN THE MATTER OF:)
)
)
 TECHNICAL STUDY PANEL ON THE)
 UTILIZATION OF BELT AIR AND THE)
 COMPOSITION AND FIRE RETARDANT)
 PROPERTIES OF BELT MATERIALS IN)
 UNDERGROUND COAL MINING)

Tuesday
September 18, 2007

Sheraton Reston Hotel
11810 Sunrise Valley Drive
Reston, Virginia 20197

The parties met, pursuant to the notice, at
9:06 a.m.

BEFORE: LINDA ZEILER
Designated Federal Officer
Deputy Director
MSHA Technical Support
1100 Wilson Boulevard
Arlington, Virginia 22209
(202) 693-9478

Panel Members:

Jim Weeks, Ph.D.
Director
Evergreen Consulting, LLC
Silver Spring, Maryland

Jerry C. Tien, Ph.D., P.E.
Associate Professor
Mining Engineering
University of Missouri-Rolla
280 McNutt Hall
1870 Miner Circle
Rolla, Missouri 65409-0450
(573) 341-4757

Heritage Reporting Corporation
(202) 628-4888

Panel Members (continued):

Jan M. Mutmansky, Ph.D.
Professor Emeritus, Mining Engineering
Department of Energy and
Geo-Environmental Engineering
The Pennsylvania State University
156 Hosler Building
University Park, Pennsylvania 16802-5000
(814) 863-1642

FELIPE CALIZAYA, Ph.D.
Associate Professor, Mining Engineering
The University of Utah
135 South 1460 E No. 318
Salt Lake City, Utah 84112

DR. JÜRGEN F. BRUNE, PH.D.
Director
Spokane Research Laboratory
National Institute for Occupational
Safety and Health
315 East Montgomery Avenue
Spokane, Washington 99207
(509) 354-8001

THOMAS P. MUCHO
Thomas P. Mucho & Associates, Inc.
Mining Consultancy
Washington, Pennsylvania

1 present a couple of pictures.

2 This diagram shows a coal mine that has more
3 than one intake. In fact, I think this mine had six
4 intakes and one main return. The main return is shown
5 on the F, where it says "a fan," and, in fact, they
6 had one fan there that was operating at 7.2-inch water
7 gauge. The total flow weight was 830. Now, from
8 Point 1 to Point 2, there are 103 stoppings. Each
9 line represents two intakes on the intake side and two
10 returns on the return side.

11 The air that is supplied from different
12 sources is directed to the workings. In this case,
13 I'm illustrating only two cases: one, continuous
14 miner and one long-wall section.

15 Here, we have the main intakes, and here we
16 have the main return. The air is directed from all of
17 those intakes towards the workings, and here, near the
18 working face, they had about 30,000 to 40,000 CFM.
19 The same thing here in the long-wall section; they had
20 about 60,000 CFM.

21 From this total of 830, they had two
22 continuous miners, one here and one there, on the
23 long-wall section, and they had shops, but a
24 significant percentage of air was lost through
25 stoppings. We are talking about maybe, in this case,

1 20 percent of air that's used here and maybe 10
2 percent of the air that's used here, and they had a
3 total leakage of 64 percent. That one has to do a lot
4 with stoppings, doors, overcuts, and other places
5 where leakage takes place.

6 This diagram shows the way how the leakage
7 takes place. Each stopping, down here I have the
8 location of the cross-cuts relative to the main fan.
9 So this one is very close to the main fan; this is
10 close to the main split. You can see here the way
11 stoppings are subject to high pressures. The one in
12 blue; that represents leakage, the pressure on the
13 stoppings from belt to return, and down here the one
14 in purple represents the leakage, the pressure on the
15 stoppings between the intake and the belt.

16 Now, you see the difference here. The ones
17 close to the main return; they are at very high
18 pressure, and the ones close to the vent; they are
19 really at very high pressure; in this case, almost
20 four-inch water gauge, and we are talking about maybe
21 10 to 16 stoppings that are really crucial in this
22 system.

23 In this diagram, we are talking about that
24 section, from one to two. So what's happening here is
25 air is trying to short-circuit through this straight

1 to the main return. Through measurements, we found
2 that between .1 and .2 in almost 100 stoppings; about
3 22 percent of air was lost. It's not used at all.
4 It's going straight to the main return.

5 The other thing that illustrates -- you can
6 see that in more detail down here -- illustrates
7 short-circuit from one to four through the stoppings.

8 Now, in this mine, most of the stoppings
9 were made of steel plates. We call them "Kennedy
10 stoppings." The ones down there; they were built of
11 concrete blocks. But, still, in spite of that, we had
12 a significant amount of leakage.

13 This one also shows that between .3 and .4,
14 the leakage was also on the order of 20 percent.

15 So leakage is really one main issue. To
16 reduce leakage, we are proposing two things. One is
17 to use solid concrete blocks of at least eight inches
18 thick with mortar joints for the stoppings that are
19 located near the mains and the mains, in fact, main
20 intakes and main returns. Then we are also
21 recommending that they should be lined using sealants.

22 The alternative is to use yielding
23 stoppings, but, in this case, we are talking about
24 double stoppings, the ones that are called "near-zero-
25 leakage stoppings." So that would be the alternative.

1 Here, we can see construction of one of
2 these stoppings. They are made of concrete blocks.
3 In fact, it's in the area where the section is closed
4 through seals.

5 This is the other type of stoppings that you
6 can see. We have Omega blocks, and they are very easy
7 to build. Apparently, here, it's very well sealed,
8 but when we measure flow rates, you will see that air
9 is leaking through the stoppings.

10 So that's what we recommend for stoppings
11 that are located near the main fans. Now, the
12 stoppings that are located away from the main fans --
13 we call them "panel stoppings" -- are not subject to
14 high pressures, and, in this case, the yielding
15 stoppings could do the job, or we can use these hollow
16 cinder blocks, and they can also do the job.

17 Through measurements, it was found that when
18 we used the metal stoppings, the leakage may be on the
19 order of 300, but when we used solid stoppings, this
20 can be cut by half or maybe more than that.

21 Here, we can see one example of yielding
22 stoppings. These are metal stoppings, and, in this
23 case, the construction plays an important role. It's
24 in good condition, but the leakages taking place here
25 are on this main door.

1 One alternative, at least, to reducing
2 leakage is the use of booster fans. We don't use
3 booster fans in this country, but it's a proven
4 technology to reduce leakage. What we are suggesting
5 is MSHA should start looking at this seriously as an
6 alternative to reduce leakage. Now, we will need this
7 in the future, especially for those mines that are
8 going deep, and they are having very high leakage
9 rates. So that's one of the recommendations: to
10 study this and come up with some discussion points in
11 the following two years.

12 Now, what are the problems with booster
13 fans? One problem is the possibility of uncontrolled
14 recirculation, but this issue now, with the advent of
15 AMS, can be solved to some degree by means of these
16 units. We can monitor the quality of air, and we can
17 pick up if there is any problem with the fan.

18 So one recommendation is to study this issue
19 of booster fans and come up with discussions points in
20 the following three years.

21 Another recommendation in this section is to
22 start developing cost-effective stoppings and sealant
23 materials. We have materials which are good, but they
24 are expensive now, and we need to do something along
25 those lines.

1 Those are my discussion points about this.

2 DR. MUTMANSKY: Thank you, Felipe. I would
3 like to open discussion on this particular
4 recommendation and open up to the panel members at
5 this point in time. Anybody now who would like to
6 speak to this recommendation?

7 DR. TIEN: This is just more a curiosity
8 problem. To the folks at the panel, what do you think
9 of a leakage rate of 50 to 60 percent? Would that be
10 a reasonable number, now you have seen the fills?

11 Okay. Also, another question that has to do
12 with the rate of leakage; that is the type of
13 stoppage. If you're going to search your memory,
14 percentage-wise, metal stoppings -- you see a lot of
15 them across the board in most coal mines, east and
16 west -- what would your folks say?

17 DR. MUTMANSKY: You see them.

18 DR. BRUNE: My experience has been that the
19 metal stoppings typically leak more. However, they do
20 have certain advantages when the convergence rate in
21 the roof and floor is high. They have an ability to
22 yield better than box stoppings.

23 The other problem that hasn't been addressed
24 in this discussion, Felipe, is the leakage that goes
25 around the stopping that goes through that creates

1 some cracks in the coal, and some coal seams are very
2 prone to that. So no matter how well you build the
3 stopping, you may not be able to avoid the leakage
4 that goes around the stopping.

5 Another point that I wanted to make and,
6 actually, that I had somewhat expected here is whether
7 we should, as a panel, discuss a recommendation of
8 trying to pressurize the intake escapeway as far as we
9 can towards the face because, by pressurizing the
10 intake escapeway, no matter what the leakage is, if we
11 can keep the intake escapeway pressurized over the
12 belt, then smoke from the belt will not leak into the
13 intake escapeway.

14 So if we can maintain a positive pressure
15 differential, and I realize that's not always
16 possible, but that ought to be a goal, and that
17 perhaps ought to be a recommendation that this panel
18 makes. I'm just throwing that out for discussion.

19 DR. MUTMANSKY: Felipe has done some work on
20 that also. Basically, I think it's correct to say --
21 hopefully, everybody agrees with this -- that if you
22 have a main intake and a belt air intake side by side,
23 normally the pressure into the main intake would be
24 somewhat higher than in the belt intake. However,
25 that can, at times, reverse itself, and occasionally

1 it would be advantageous to maintain that pressure
2 somewhat higher in the main intake so that a belt
3 fire, of course, does not leak smoke and contaminants
4 into the main intake.

5 I'm not really certain how easy that would
6 be to do, but I guess the proposal would have to come
7 from somebody here as to how it would be best
8 approached, and maybe we can discuss that. I have two
9 other points concerning the leakage recommendation
10 that I thought should be brought before the panel.

11 Number one is, I'm wondering if it wouldn't
12 be worthwhile to take the booster fan concept and put
13 it under our research recommendation. The reason I'm
14 saying that is that MSHA has always avoided booster
15 fans like the plague, for a variety of reasons. They
16 are not something that would be easy for them to
17 accept. So it may really be that it is appropriate to
18 research these, and maybe this should be part of our
19 research recommendation.

20 The second problem I want to point to is
21 that some of the comments that we've had back from the
22 MSHA personnel have said that, in general, the concept
23 of controlling leakage is addressed in current
24 regulations, and that would be a hint that maybe we
25 really don't need this particular recommendation.

1 That doesn't mean we shouldn't present it or that we
2 shouldn't pass it, but we have to consider whether or
3 not it has the impact that perhaps it might have if it
4 weren't already addressed, to some degree, in the
5 current regulations.

6 So I just wanted to bring that before the
7 group before we do anything else.

8 DR. BRUNE: I think it would be important
9 for us to recognize that minimizing leakage is a
10 safety aspect that is well worth recommending. I'm
11 just wondering whether we should get in too deep. We
12 also have how stoppings should be constructed because
13 that's something that may differ from mine to mine.

14 The mines that I've worked with, we've had a
15 lot of success with coating the stoppings on the high-
16 pressure side with a fabric called Tyvek. It's a
17 material that is used as house wrap to insulate house
18 walls from moisture, but it also has proven well
19 reducing leakage, especially in situations with the
20 interface between the roof and the floor, and the
21 stopping would deteriorate, and the leakage would go
22 around that.

23 So I would tend to not be so prescriptive as
24 to tell the mine operator how to minimize the leakage,
25 but the fact that the leakage ought to be minimized is

1 something that I think this panel ought to recommend.

2 DR. MUTMANSKY: Jürgen, would you also fill
3 us in on whether or not NIOSH does any current
4 research on stopping constructions and effectiveness
5 of a variety of stopping materials?

6 DR. BRUNE: NIOSH does not do any current
7 research, as far as I'm aware, for stoppings
8 concerning ventilation properties. They do some
9 research in understanding how stoppings can withstand
10 closure and then convergence from roof support or rock
11 mechanics perspective but not from a ventilation
12 perspective.

13 DR. MUTMANSKY: Okay. Jerry?

14 DR. TIEN: Just a thought. If one were
15 going to read some of the literature back in the
16 thirties and forties, Montgomery being one of them,
17 you will see that the leakage rate being quoted in
18 that article, you're talking about 90 percent, 80
19 percent, if my memory serves me correctly. Then the
20 numbers have somewhat improved over the course of some
21 60 or 70 years now. We having using constantly about
22 50 percent. Now, some of the researchers, such as Bob
23 Timko, have been doing that for a long time. Have we
24 maxed out? Is there a natural physical limit
25 underground that we'll have to live with?

1 DR. MUTMANSKY: One of the reasons we don't
2 seem to be improving on leakage percentage is just
3 simply we're going to bigger mines now, longer long-
4 wall panels, and so forth. So even though our
5 stoppings may be getting better, we still have the
6 problem of 50 percent leakage.

7 DR. TIEN: So the gain has been offset by
8 the increased pressure and distance and all of that.

9 DR. MUTMANSKY: Yes.

10 DR. BRUNE: The other thing is that the
11 power consumption of the overall ventilation system is
12 typically relatively constant over the life of the
13 mine, and it does not show up as a major cost spike
14 where somebody would get his attention drawn to, hey,
15 why are we suddenly using much more power on the fan
16 and much more power overall in the mine? So power is
17 relatively constant. That's probably 10 cents, 15
18 cents a ton, on a per-ton basis, and it's not as big a
19 factor as it would have to be for the operator to pay
20 more attention to stopping construction.

21 DR. MUTMANSKY: Tom?

22 MR. MUCHO: Just a little add-on to that,
23 one of the big ones that I've found in my experience
24 and did a little self-research on is spray-on sealants
25 applied sometime after the stoppings have been in

1 place, and -- will do a remarkable job in terms of --
2 and I'm talking about the polyurethane-based sealants
3 in this case -- of cutting down leakage, but, as
4 Jürgen points out, there is not a lot of impetus to go
5 back and redo stoppings and other ventilation controls
6 to cut down on leakages. What we tend to see is to
7 accept, but it's a wise move in a lot of cases.

8 DR. MUTMANSKY: I guess my question is, what
9 does the average company do insofar as restoring the
10 integrity of their stoppings, say, after five years or
11 10 years. Does the average company go back and
12 occasionally try to seal them up?

13 DR. TIEN: Probably not much, especially
14 with some of the low coal. It's so far away, it's
15 just too much trouble to do it. They would rather pay
16 the money and live with it.

17 DR. BRUNE: Most stoppings don't have a life
18 more than six to nine months anyway because, on the
19 long-wall sections, they get driven up, they get mined
20 out, and that whole process happens within a year, and
21 the stoppings on the mains, they sometimes go back but
22 only when it becomes very obvious that the stopping is
23 leaking.

24 So it's not something where somebody would
25 pay particular attention. You could probably keep a

1 crew busy year-round to maintain stoppings.

2 DR. TIEN: Well, Jürgen, I would somewhat
3 have a different view of that. Even those stoppings
4 at the bottom of the shaft typically will last a long
5 time, but poor maintenance I've seen many, many
6 places. By its very nature, high-pressure
7 differential across those stoppings, the leakage is
8 terrible in those cases. They can do much better,
9 going back with a vigorous maintenance program.

10 I do have a question. Felipe showed a
11 picture of the Omega stoppings. Are they still being
12 used since the bad publicity last year?

13 DR. CALIZAYA: Sure.

14 DR. MUTMANSKY: Sure. They are used quite
15 extensively, and, as a stopping, they are a reasonable
16 material.

17 DR. TIEN: Thanks.

18 DR. MUTMANSKY: Okay. We now have -- you
19 have --

20 MR. MUCHO: Yes. Just to address your
21 comments on the booster fan, I would agree that
22 belongs in the research area. I think that's where it
23 would be more proper to put the booster fan.

24 As best as I can see, that was an add-on
25 comment, not part of the recommendation. I think

1 Felipe designed it that way. Felipe and I discussed
2 issues somewhat as we were approaching this meeting,
3 and Felipe decided to put that as part of the
4 discussion. Now, we can opt, if we wish, to make that
5 part of the research recommendation, and we can take
6 it out of the discussion here. It does not appear in
7 the recommendations, so that's not an issue.

8 And to your other point, I tend to agree on
9 the -- I think the current regulations cover the
10 construction of ventilation controls fairly well.
11 Saying that leakage should be minimized is sort of
12 like motherhood and apple pie. If we want to say that
13 for emphasis, I think that's fine.

14 DR. MUTMANSKY: I guess the question is, is
15 there harm in passing this recommendation?

16 MR. MUCHO: To emphasize it, to be part of
17 the recommendations, it's probably a good thing.

18 DR. MUTMANSKY: Jürgen?

19 DR. BRUNE: Again, my suggestion would be to
20 -- my proposal to strike the second sentence and the
21 third sentence, starting with "Main entry stoppings
22 should be constructed of solid blocks" because that's
23 something I'm not sure if this panel should get into
24 the details of how these panels and stoppings should
25 be constructed. If the recommendation is to minimize

1 leakage of contaminants, then it should be left up to
2 MSHA and the mine operator how to achieve that, and we
3 should not be prescriptive.

4 Maybe there are mines that can't use solid
5 blocks in their main entries because they have got too
6 much convergence, or they have got other reasons. I'm
7 not sure if we want to get into those descriptive
8 things, whether I can use hollow blocks or metal
9 panels, yielding stoppings for panel entries. I'm not
10 sure. I'll throw that out for discussion.

11 DR. MUTMANSKY: Jerry?

12 DR. TIEN: Also along that line, I really
13 don't know -- I'm thinking aloud -- the higher leakage
14 rate of the metal or Kennedy metal stopping is because
15 of poor maintenance, poor construction, or because of
16 the nature of the stoppings. I've seen both cases, so
17 I'm not sure it's proper to blame the metal stoppings
18 for being not as good as the solid stoppings.

19 MR. MUCHO: That's correct. Installed
20 correctly initially, and assuming there's not a lot of
21 convergence and things going on, you can seal them up
22 pretty good.

23 DR. MUTMANSKY: I think our basic problem
24 now is this: Can we assume this is not a safety
25 problem? Is there a safety issue here? Is there a

1 safety issue as we relate it to escapeways? Is there
2 a safety issue as we relate it to a belt fire, for
3 example? I think that's our major concern, is belts
4 and belts and belt fires, and so forth, and escape
5 under those conditions.

6 So now the question is, how do we address
7 that in this? Do we just simply pass this
8 recommendation or combine it with the escapeway
9 recommendation or, in some other way, affect the way
10 that the words are being used in these
11 recommendations?

12 MR. MUCHO: I think we simply pass this
13 recommendation in terms of the leakage, but to address
14 your first lead-in comment, I do believe there is a
15 safety issue here. As far as I'm concerned, the
16 construction of stoppings very much impact, and can
17 impact, safety. Going back to what Jürgen said, and I
18 agree totally, it would be nice to be prescriptive and
19 be able to say everything fits in a nice box here and
20 a nice box there as to what should be done, but it
21 doesn't work that way.

22 I would like to see solid block stoppings on
23 all main lines. There is application for some of
24 these other stoppings. They are quicker to install.
25 They get the job done. They are short life. There is

1 good rationale for using some of the other types of
2 materials in doing it, but I think it can impact
3 safety relating back again to, in terms of belt air,
4 having the district manager approve it under the
5 ventilation plan is something that the district
6 manager and his people can be looking at and seeing if
7 they believe there are some issues there.

8 One of the things about these stoppings, for
9 example, the metal stoppings -- take a pressure, a
10 pulse of about 1.3, 1.2 PSI, which can come from roof
11 falls, especially in bumper environments and things
12 like that.

13 So I think there are some issues about
14 stoppings and constructions that are safety-wise, but
15 trying to prescriptive about it is just very
16 difficult, especially in generic prescriptions.

17 DR. MUTMANSKY: Felipe, are you okay if we
18 delete the specifics in sentences two and three there?
19 Are you okay with deleting that part?

20 DR. CALIZAYA: Well, maybe when we add up in
21 the discussions section. Following each
22 recommendation, we have discussions. Right?

23 DR. MUTMANSKY: Yes.

24 DR. CALIZAYA: So maybe we can switch --

25 DR. BRUNE: I think that would be a good

1 place to do that.

2 DR. MUTMANSKY: I think so. That's a good
3 point. That's a good point. Okay. You're okay with
4 that.

5 DR. CALIZAYA: Yes.

6 DR. MUTMANSKY: Is everybody okay with that?

7 DR. TIEN: Yes. Jan, I'll agree totally,
8 just trying to endorse what Tom was talking about.

9 Another point is sometimes if it's difficult
10 to build stoppings, the chances are it don't get built
11 in some cases, low coal and so forth. So that's
12 another advantage of using the metal stoppings. They
13 are easy to be built, and they can be reused, if you
14 use them properly, several times, and they just are a
15 very, very hard chore to direct the concrete block
16 stoppings many, many thousand feet just to build
17 stoppings. So the end result is it doesn't get built
18 at all. So, again, I agree with you, what you're
19 talking about.

20 DR. MUTMANSKY: Okay. We're in agreement.
21 We will remove that, and now let's see. This is
22 called our "Leakage recommendation", and it reads:
23 "Primary escapeway should be designed, constructed,
24 and maintained in accordance with the provisions of 30
25 CFR § 75.333(b) through (d) to minimize the leakage of

1 air contaminants." Are there any word changes and
2 addition we need?

3 DR. BRUNE: Looking at the Recommendation
4 No. 14, since this is about primary escapeways as
5 well, should we add the last sentence of number 14 to
6 this and combine the two and then just vote on the
7 combined? Would that be an acceptable compromise?

8 DR. MUTMANSKY: That's an interesting
9 discussion. This one reads: "Escapeways. Primary
10 and alternate escapeways from working faces ventilated
11 by belt air should be designed, constructed, and
12 maintained to maximize the possibility of escape in
13 case of emergency. They should be ventilated, with
14 intake air preferably."

15 Now, that would become the second sentence.
16 Is that what you're recommending, Jürgen?

17 DR. BRUNE: Yes. Yesterday, we had
18 discussed that the first sentence of this
19 recommendation is pretty well already contained in
20 existing regulations: "It should be designed,
21 constructed, and maintained," and all of that. That's
22 pretty much what the law already prescribes, so the
23 question is --

24 DR. MUTMANSKY: While Bill puts that in, we
25 may want to discuss the title. The title now?

1 DR. BRUNE: It should be "Escapeways and
2 Leakages," something like that.

3 DR. MUTMANSKY: Okay. Now, could we also
4 make note of that pressure difference that you had
5 originally thought we should be discussing? This is
6 the logical place for it, I believe. I'm saying it's
7 my thought.

8 DR. BRUNE: Yes. That certainly could be
9 added to that recommendation, in my opinion.

10 DR. MUTMANSKY: What we could say is, "They
11 should be ventilated with intake air preferably and
12 with a higher pressure in the main intake airway."

13 DR. BRUNE: The intake airway should be
14 pressurized over the belt. It's always pressurized
15 over the return by nature --

16 DR. MUTMANSKY: Yes.

17 DR. BRUNE: -- but over the belt, and it
18 should be pressurized.

19 DR. MUTMANSKY: Can we put that in as a
20 requirement?

21 DR. BRUNE: I would say, as far as possible,
22 I would throw that in because there may be situations
23 -- I've seen rare situations where one possible -- I
24 did ventilation modeling.

25 DR. MUTMANSKY: Okay. And to the extent

1 possible, the main intake should have a higher
2 pressure than the alternate escapeway. Is that what
3 you're saying? We have to get the wording right now.
4 We've really done a lot of surgery here on this, and
5 now we need to, I guess, consolidate all of our
6 thinking and make certain that the words are correct.
7 What will we call this "Leakage"?

8 DR. BRUNE: Escapeways and Leakage.

9 DR. MUTMANSKY: Escapeways and Leakage.

10 Okay. Yes, Jerry?

11 DR. TIEN: While Bill is working on that,
12 I'm just curious. In some cases, we will have to be
13 aware of that, in a fishtail arrangement, there might
14 be intake next to the return, so when we increase to
15 pressurize the intake, you kind of aggravate the
16 leakage, in some cases.

17 DR. MUTMANSKY: I don't think that's a big
18 problem because what you're basically doing is you're
19 just ensuring a small pressure difference rather than
20 a big pressure difference there. I believe it would
21 always be possible to maintain a higher pressure in
22 the main intake just through the use of a partial
23 Brattice. It would be easy to do, I believe.

24 DR. TIEN: Or you introduce artificial
25 resistance.

1 DR. MUTMANSKY: A small resistance into the
2 belt airway, yes, some small resistance of some sort.

3 MR. MUCHO: What does the term "main intake"
4 mean?

5 DR. MUTMANSKY: Good question.

6 DR. TIEN: The intake.

7 MR. MUCHO: I thought we were talking about
8 the primary.

9 DR. MUTMANSKY: The primary escapeway, yes,
10 to the extent possible.

11 DR. BRUNE: Is that correct? In some mines,
12 the track is considered the primary escapeway. If you
13 have a four-entry system, typically the track is
14 considered the primary escapeway. You have an
15 isolated intake escapeway; that is the secondary
16 escapeway. Is that correct? I'm looking at Bill.

17 DR. MUTMANSKY: He is saying no. Bill is
18 saying no.

19 MR. FRANCCART: No. The isolated primary
20 escapeway wouldn't be the track in that situation.
21 That would be a secondary escapeway or an alternate.

22 DR. BRUNE: I stand corrected then.

23 DR. MUTMANSKY: Okay. All right. We are
24 moving here. We're making great progress, if you just
25 consider how many changes we've made here. So let's

1 start analyzing in detail and see if we can accept the
2 language and so forth.

3 "A primary escapeway should be designed,
4 constructed, and maintained, in accordance with the
5 provisions of 30 CFR § 75.333, to minimize the leakage
6 of air contaminants. The primary escapeways should be
7 ventilated with intake air preferably, and, to the
8 extent possible, the primary escapeway should have a
9 higher pressure than the belt."

10 Okay. I think you should take out the first
11 comma and put commas around "to the extent possible."
12 I could be wrong about that. Let's see if it reads
13 properly after putting the one comma after "and."
14 Does that read better now?

15 DR. BRUNE: Yes.

16 DR. WEEKS: Shouldn't that refer to the belt
17 entry rather than the --

18 DR. BRUNE: The belt entry, yes.

19 DR. TIEN: Do you need the second primary
20 escapeways over there? Will that be okay?

21 DR. BRUNE: It's a question of semantics.

22 DR. MUTMANSKY: A question of semantics.
23 What is your proposal there, Jerry?

24 DR. TIEN: Either way.

25 DR. MUTMANSKY: Is that all right as is?

1 Are we close to where we want to be here? That's the
2 question here.

3 DR. TIEN: Jim, you want to make sure. You
4 have squiggles there, just one.

5 DR. MUTMANSKY: Are there enough squiggles
6 there, Bill? Bill says there are enough squiggles.
7 He is the authority on squiggles, so we'll go with his
8 recommendation there.

9 All right. Let's get some thinking.
10 Felipe, they have done great harm to your two
11 recommendations. I want to make certain you're okay
12 with them.

13 DR. WEEKS: Do you recognize them?

14 DR. MUTMANSKY: Are you okay with those?

15 DR. CALIZAYA: I have no problems with this.
16 Maybe when it comes to discussions tomorrow, we can
17 modify the discussion part. I think we have one more
18 point here that deals with tertiary escapeways, which
19 is not in the main recommendation, but it shows up in
20 the discussion section.

21 DR. MUTMANSKY: Okay. All right.

22 MR. MUCHO: Just to jump, though, leakage of
23 air contaminants; all we're talking about there is the
24 primary escapeway, and we really don't want leakage of
25 air, really. I'm kind of confused by air

1 contaminants.

2 DR. BRUNE: If you prevent leakage of air,
3 you automatically prevent leakage of contaminants.

4 DR. MUTMANSKY: That is a good point. The
5 word "contaminants" there is superfluous. I would say
6 so, yes.

7 DR. TIEN: Or simply call them "air
8 leakage."

9 DR. MUTMANSKY: "To minimize air leakage,"
10 yes. Let's go with that language. Is everybody okay
11 with it?

12 Okay, gentlemen. Are we ready to do the
13 vote on this? We will now vote on this. Jürgen?

14 DR. BRUNE: I vote yes.

15 DR. MUTMANSKY: Jerry?

16 DR. TIEN: Yes.

17 DR. MUTMANSKY: I vote yes. Jim?

18 DR. WEEKS: Yes.

19 DR. CALIZAYA: Yes.

20 MR. MUCHO: Yes.

21 DR. MUTMANSKY: Okay. Everybody votes yes
22 on this one. That is going to be now number 14,
23 "Escapeways and Leakage." Thank you for making
24 progress on that, and our next recommendation will
25 also be presented by Felipe. It's the air velocity

1 recommendation, and, in this particular case, we will
2 take our basic discussion of this from Felipe, and
3 Felipe will present his arguments for these.

4 DR. CALIZAYA: Thank you. Here, the key
5 point is to talk about these two numbers: minimum
6 velocity of 100 feet per minute and the maximum
7 velocity of 1,000 feet per minute.

8 I'm a strong believer in numbers. When we
9 leave any of those open, then we can interpret the way
10 you want. So I want to have numbers like the ones
11 that are posted here.

12 Before I talk about this, I would like to
13 present a couple of pictures. Next, please?

14 Okay. Minimum air velocity. One of the
15 reasons for increasing the air velocity from 50, which
16 is described now, to 100, is the ability to detect all
17 of the contaminants by the same source that we might
18 use. Fifty feet per minute is really low. It's
19 barely perceivable. How do we measure this, with the
20 smoke tubes? Not that reliable.

21 The other alternative is to use anemometers.
22 The lower end of the anemometer for this one; it says
23 "30 percent correction." Therefore, we are really
24 unable to come up with a picture of this 50. It could
25 be 50, 60. It could be 40. Next?

1 There are three reasons for increasing that
2 minimum velocity to 100. One is the transport time
3 for products of combustion to reach the sensor, smoke
4 sensor, the CO sensor or smoke sensor. Now that
5 depends on where the sensor is located. If the sensor
6 is located just above the fire, that could be very
7 coincidental. The sensor will do the job, will recall
8 the right number. But if this is downstream, and
9 there is no air velocity, then the chances of
10 detecting that are very low and not reliable. So
11 that's one of the main reasons for increasing this
12 minimum velocity from 50 to 100.

13 Are there benefits that we can get from
14 increasing? Is there the possibility of reducing the
15 methane layer in gassy mines?

16 The last one is decreasing the fogging
17 problem that shows up in wet mines. When you have
18 velocities of less than 100, it's really hard to see
19 because of the fog. This becomes a safety issue.

20 This diagram shows how the air velocity is
21 distributed in a mine. You can see in this diagram,
22 here, we have one obstruction that could be the
23 conveyor belt, and, depending on the size of the
24 opening, the maximum velocity is located somewhere
25 here, and that will happen. You will have a center

1 line. But near the edges, you can see the ratio. It
2 decreases from three to one in that order. Sometimes
3 near the roof, you cannot even detect whether the air
4 is moving, especially when the average velocity is 50
5 feet per minute. So what we want to do is increase
6 that.

7 Now, depending on where the monitor is
8 located, according to the regulations, the sensors
9 should be located in the upper third. In the upper
10 third, what you will have is even lower velocities.
11 If the average velocity here is 50, then up here that
12 means we are seeing velocities of 20 or maybe less
13 feet per minute.

14 That's telling us that the sensors are not
15 giving us the right reading. So that's one of the
16 reasons for increasing the velocity.

17 This one explains the transport problem, and
18 that applies not only for carbon monoxide, which is
19 lighter than the air; it also applies for smoke.
20 Smoke is also lighter than the air, and it will try to
21 stratify.

22 Other issues: methane layering. A hundred
23 feet per minute is not going to prevent layering. We
24 might need more than that, but it will assist.

25 Fogging. Again, 100; it's not going to

1 solve the problem, but it will assist. We might need
2 to have higher than 150 per minute, 150 feet per
3 minute, to eliminate the problem.

4 So those are the reasons for the lower end.
5 Now, in the upper end, a maximum velocity of 1,000
6 feet per minute. Well, this number is suggested by
7 more than one author of ventilation books. I want to
8 come up with some other reasoning.

9 I had the chance to work in areas where the
10 velocity was more than 1,000 feet per minute, and
11 especially if this is a conveyor belt, you will see
12 the dust, the float dust, in the airway, and that
13 float dust is really a safety issue. I'm sure most of
14 you, you are exposed to these problems. The dust will
15 get into your eyes, into your nose, and it's a
16 headache. So that's one reason.

17 I have two other reasons other than
18 discomfort. McPherson suggests 800 feet per minute.
19 Excessive dust will -- settled dust and transport it
20 for long distances. Now, this becomes a serious
21 issue: settled dust. What is "settled dust"? That's
22 mainly float dust, but we also have respirable dust
23 air, and once we stir the dust, that will fly to the
24 workings, and that's what we want to avoid.

25 Now, what I did is read my research in this

1 area, and I found two interesting articles published
2 by Rider and Colinet from NIOSH. What I will do is
3 explain that to some detail.

4 Based on this research, the first article
5 was published in 1999, and that one was in the U.S.
6 Mine Ventilation Symposium in 2002. The article is in
7 that book, and there you can see a couple of numbers.
8 This is at the face. That's the place where we have
9 the largest air velocity.

10 When the air velocity is on the order of 400
11 feet per minute, the respirable dust, as we saw in
12 other discussions, is less than the allowable limit,
13 maybe 1.5 or in that order. But when that increases
14 to 800, respirable dust concentration has increased by
15 a factor of three or four. So that's a major concern.

16 Another thing that we can see in that paper
17 is that the average velocity at the base during that
18 time was 633. Last year, at the U.S. Mine Ventilation
19 Symposium, Rider and Colinet reported that this has
20 increased, and it has to do with the production rate.

21 But you can see this number, 665 feet per
22 minute. That's the average of, if I'm not mistaken,
23 eight mines at different places. The paper talks
24 about maximum velocity of a little bit more than 1,000
25 in one case, but, on the average, it was in that

1 order.

2 So that's telling us that, even at the
3 working faces, at the long wall-face, we don't have
4 velocities that are above 1,000 feet per minute.

5 Next, please?

6 This diagram shows Colinet's report. This
7 is for the long-wall face, and here we can see the
8 lower concentration of dust particles at the
9 velocities which you have in the order of two meters
10 per second; that's about 400 feet per minute. What we
11 are seeing here is that when the dust concentration --
12 this is experimental work -- increases to eight meters
13 per second, which is 1,600 feet per minute, the dust
14 concentration -- this is respirable dust concentration
15 -- increases from almost .5 to 13 or 14 milligrams per
16 second, way above the TLV limits.

17 Something similar to this was presented in
18 the same paper for total dust. So that's telling us
19 that dust becomes a serious problem when you are
20 dealing with very high velocities. Next?

21 This is Malcolm's graph, diagram, that he
22 uses in his textbook, and it shows the effect of air
23 velocity and dust concentration. For respirable dust,
24 we're talking about particles that are less than five
25 microns. We can see that, at low velocities, that one

1 is quite high, and, after that, it decreases. It's
2 decreasing because of the dilution factor.

3 The other one here, the graph above 10
4 microns; that one represents float dust, and that one
5 is telling us that the total dust concentration, it
6 will follow this pattern, and it says that, from that
7 point of view, maybe right here it would be about
8 three, three meters per second at 600 feet per minute.
9 Maybe that's the optimum one. If we extend that a
10 little bit more, we are increasing the total dust, but
11 if we go to 1,000, we are really up here.

12 So those are the reasons that I used to
13 establish the 1,000-feet-per-minute limit.

14 DR. MUTMANSKY: Thank you, Felipe. I think
15 we want to discuss minimum and maximum air velocities
16 separately. I guess there really are separate issues
17 involved.

18 Let's, first, discuss the minimum-air-
19 velocity issue and get comments on that for the 100-
20 feet-per-minute recommendation.

21 MR. MUCHO: I'll take a go at that first.

22 DR. MUTMANSKY: All right, Tom.

23 MR. MUCHO: For the reasons given by Felipe,
24 the methane layering and so forth, the transport time
25 to sensors, especially, I think most of us agree that

1 100 feet per minute makes a lot of sense as a minimum,
2 but there has been a reluctance to change with that
3 50-feet-per-minute number.

4 One has to wonder why that is. My
5 suspicion, and I will say this is only a suspicion, is
6 that the problem, and we'll get into it with the other
7 velocities, too, is the exceptions, the small areas
8 here or there where maintaining either a maximum or
9 minimum is a problem.

10 For example, we talked about the fishtailing
11 of a point-feed onto a belt line. Right in the area,
12 and we've talked about that, one of the objectives is
13 to dump the air inby the terminal units of the take-
14 up, the belt drive, and to dump that air to return,
15 taking the fresh air inby to the face.

16 Typically, the ventilation in that area for
17 that kind of a system is air comes off the main belt
18 over the transfer point to the drive area, where it's
19 dumped to return, and air is brought back down the
20 belt from the point-feed inby the take-up-type unit
21 and dumped.

22 The problem is, right in that area there,
23 you can have some rather low velocities, depending on
24 where you're measuring it and how close you are to the
25 regulator that you're dumping it through.

1 Similarly, there are other kinds of
2 situations like that where there are small areas where
3 maintaining 100 feet per minute is an issue. As a
4 result, you get citations, and the companies are upset
5 about those kinds of citations, and so on and so
6 forth.

7 So I think that those kinds of issues are
8 kind of the root of hanging onto that 50 feet per
9 minute. It doesn't sound logical. We're using belt
10 air to do a better job of ventilation. You would
11 expect to find the velocities above 100 feet per
12 minute.

13 So I think, and I'm going to recommend it
14 for both of them, is that we should state something
15 about the handling of small areas that, for some good
16 reason, are an exception. When you jump to the max,
17 you get to things like some restrictions, constricted
18 area as a result of the velocity through that area,
19 and so and so forth.

20 So that's the main thing, I think, in terms
21 of the minimum, that we need to somehow stipulate some
22 means to not make that an issue in the industry.

23 DR. MUTMANSKY: Jürgen?

24 DR. BRUNE: I agree with Tom. We need to
25 have some kind of an ability to exempt small areas. I

1 just want to give another example. In a case where
2 you ventilate the belt air out-by, not to the face but
3 away from the face, that requires what's called a
4 "belt regulator," and typically the miners call it
5 "dog leg," where you dump the belt air into the
6 return.

7 That belt regulator should technically be
8 built as tight as possible because if you don't build
9 it tightly, then you lose air, and that's a source of
10 leakage, and, at that point, if you can build it tight
11 enough, likely the velocity in this cross-cut, likely
12 the overcast from the main belt, is less than 50 feet
13 per minute, on average.

14 DR. MUTMANSKY: Okay. Jerry?

15 DR. TIEN: I agree with him, but I'm just
16 wondering -- look at the words he is proposing,
17 "should," but it's not "shall." Is that kind of
18 implying that exceptions can be made?

19 DR. MUTMANSKY: If we're going to have
20 exceptions, I think we have to state them. I think
21 it's important. I didn't think there would be any
22 problem with this minimum air velocity of 100 feet per
23 minute. I personally think it's a very good idea. I
24 think Fred Kissell's presentations in Pittsburgh were
25 very indicative of a quicker response time from the

1 sensors, and so the 100 feet per minute, I think, is
2 something we really should go with.

3 Now, to make that acceptable and to make it
4 practical, we may need to provide language that
5 permits a smaller velocity in very small areas
6 perhaps.

7 Tom, will these areas always be very short
8 areas, or will they sometimes be bigger areas and
9 cover a bigger extent of the mine?

10 MR. MUCHO: In general, the situations I'm
11 aware of were always small areas, but just to jump to
12 the maximum, for example, we toured the Jim Walters
13 Mine. We looked at a point-feed. Now, we didn't go
14 in and measure the air on the belt line right in that
15 area, but I suspect it was quite high. They had an
16 intake shaft there. They were dumping through a
17 regulator point-feeding onto the belt line.

18 We were well into the mine, where I would
19 suspect that belt air from the original source was
20 almost nonexistent, except for the point-feed. So
21 they could have been splitting the air in both
22 directions on the belt. I think, as I recall, they
23 were only point-feeding to move it in by.

24 So there is an area there where, in the area
25 of the point-feed, the velocities could be quite high

1 until they drop down to a more normal kind of an area.
2 I wouldn't think it necessarily would be small, but
3 it might be numbers of cross-cuts and that the
4 velocity might be kind of high through that area.

5 Of course, I know that Jim Walter's has been
6 one of the people who raised an issue about the
7 maximum velocity also, so I'm suspecting that it's
8 those kinds of situations that are reasons why they
9 were raising objections to the maximum.

10 DR. MUTMANSKY: Jim?

11 DR. WEEKS: A couple of matters. A question
12 for Tom: In the areas where the velocity is likely to
13 go down, how do you deal with methane layering in a
14 situation like that?

15 MR. MUCHO: In general, to be quite honest,
16 we haven't seen a lot of problems with methane
17 layering on the belt line irrespective of velocity.
18 It can happen. As Felipe pointed out, it can happen
19 even at velocities over 100 feet per minute, but, in
20 general, we haven't seen that many problems. People
21 find the problems. Of course, people who are
22 examining these belt lines, they find gas, and they do
23 something using baffles and so on to create a mixing
24 situation to address the layering.

25 DR. WEEKS: One possible way to deal with

1 the exception would be to talk about an average
2 velocity of 100 feet per minute or to specify some
3 reasonable point along the entry which you measure it
4 rather than to require that it be at least 100 feet
5 per minute, the entire length of the entrance.

6 MR. MUCHO: When Felipe was talking, I had
7 the same thought, but then I haven't had enough time
8 to think about it to know if that really made sense
9 and think that all the way through. But it seems like
10 it might almost be a way to handle, but then average
11 velocity, so I have 50 here, 500 over there. It's
12 sort of like you want an average minimum feet per
13 minute or something.

14 DR. WEEKS: What if you measured at some
15 identified place. I don't know where that place would
16 be, the belt head where it enters the section.

17 DR. MUTMANSKY: It's complicated by the
18 pattern of ventilation. There is now question about
19 it. At the point-feed, you require 300 feet per
20 minute through the regulator. That generally would
21 provide you an awful lot of air, but if you split the
22 air in both directions, then most of the air will go
23 toward the working face, and there may be areas in
24 there that just simply don't easily meet 100 feet per
25 minute.

1 MR. MUCHO: You want very little. You just
2 want enough going back the other way to pick up the
3 contaminants, mainly dust in this case, and get rid of
4 them. You don't want to be wasting that air.

5 So the incentive, from an engineering
6 standpoint, is to have a varying minimum going back
7 that direction. Correct.

8 DR. BRUNE: Likewise, on the maximum end, it
9 is well possible that you have a tight overcast where
10 you force the belt air over the track of the return,
11 and the overcast is not high enough. It may only be
12 three or three and a half feet high, just to barely
13 let the belt through, and you get exorbitant
14 velocities up there just because the area gets
15 reduced. If your overall belt velocity is 800, you
16 may see 1,500 on top of the overcast.

17 DR. MUTMANSKY: Sure. Okay. Well, we have
18 a lot of different issues pointing to these
19 recommendations here.

20 I'm somewhat surprised to hear somebody say
21 that some of the belt entries had 1,200-feet-per-
22 minute velocity. Is that correct?

23 DR. BRUNE: Yes, I believe so.

24 DR. MUTMANSKY: And those are for entry
25 systems. Correct?

1 DR. BRUNE: Yes, and they claim they need
2 the quantity of air to ventilate their long-wall
3 because of -- to dilute gas.

4 DR. MUTMANSKY: To dilute gas. I understand
5 that. Okay. What would the velocity on the face be,
6 then, in that case?

7 MR. MUCHO: Probably much higher than --

8 DR. MUTMANSKY: Much higher than 1,200.

9 MR. MUCHO: No, typically not.

10 DR. MUTMANSKY: No?

11 MR. MUCHO: Because on the face you have a
12 larger cross-sectional area. You typically have 140,
13 150 square feet cross-sectional area on the face.

14 DR. MUTMANSKY: You're probably looking at
15 800 feet per minute on the JWR face.

16 DR. WEEKS: I would think, on the face, also
17 if it's a longwall face, there is a lot more
18 resistance just because of the shields and all of
19 that.

20 DR. BRUNE: Yes, but that wouldn't change
21 the velocity. That would just affect the pressure
22 drop.

23 DR. TIEN: By the time you get to the face,
24 some of the air has already gone to the gob so only
25 part of that high air volume comes to the face area.

1 You're right. It's because the shields and the shear
2 is a reduced area in the face area.

3 DR. BRUNE: Plus you do lose a significant
4 amount of air through the first 10, 15 shields into
5 the gob which is part of the purpose of why you have a
6 large quantity on the face just to keep the methane on
7 the gob.

8 DR. WEEKS: The other issue with the maximum
9 velocity; I would think, with higher velocity, there
10 would be a dilution of the CO which would delay -- as
11 well at the other end.

12 DR. BRUNE: One comment that I would like to
13 make regarding the high velocity is I agree with the
14 entrainment comments that you made. After 800 feet
15 per minute or so, the dust entrainment gets higher,
16 but we already have a regulation on the books that
17 requires the overall dust concentration at the
18 designated area sampling point just before the belt
19 air meets the face air to be less than one milligram
20 per cubic meter.

21 So there is a limitation to how much dust
22 you can allow the belt air to load up. If you
23 increase the belt velocity too high and entrain too
24 much dust, you would be unlikely to meet that maximum
25 dust specification at that point.

1 MR. MUCHO: Jumping to the maximum on the
2 dust is almost apples and oranges, in a way. If
3 you're going to talk about longwall face dust and
4 compare it to conveyor belt dust, that's a different
5 animal, one of the major differences being that shield
6 movement, shield dust composition, the size particles
7 of those. You really are mixing apples and oranges
8 when you start taking data from longwall face dust,
9 respirable dust, and start talking about it in a
10 conveyor belt entry. It's just apples and oranges.

11 Basically, I don't think any of us have a
12 problem with the numbers we got up there. I think the
13 lone issue that I can see is dealing with the
14 legitimate exceptions out there so that MSHA and the
15 companies can deal with them. I think the numbers
16 make sense to most of us.

17 DR. WEEKS: The other issue with the dust --
18 actually, there are a couple of other issues. One is,
19 if the air is going in one direction, and the belt is
20 going another, the effective velocity of coal on the
21 belt is the sum of those two velocities.

22 DR. MUTMANSKY: That is correct.

23 DR. WEEKS: So that's one other factor.

24 The other is that there is a section of the
25 Act that -- I forget the exact wording, but it says

1 basically that whatever the ventilation is, it should
2 be to minimize the generation of respirable dust,
3 basically saying you should get it as low as possible.
4 One milligram is an upper limit set by regulation,
5 but, even so, there is kind of a mandate to get it
6 down.

7 Then, finally, the biggest source of
8 respirable dust on the belt entry is not reentrainment
9 anyway; it's the transfer points.

10 MR. MUCHO: In terms of the velocity, I
11 guess I rely on Mitchell. He has made a couple of
12 statements about what that maximum velocity ought to
13 be, but, generally, considering the belt going the
14 opposite direction than the air in the case of belt-
15 air mines, you're still generally with Mitchell's
16 numbers that at 1,000 feet you're okay by some of the
17 numbers that he has quoted.

18 So I think that's all right. I think, when
19 you look at some of the other studies that have been
20 done for belt air, some of the MSHA work, again, the
21 transport, I think we're okay at that kind of a
22 maximum number, a thousand. I think it's not a bad
23 number.

24 DR. WEEKS: Well, that's true, but,
25 according to the data that Felipe showed, if you're

1 getting significant reentrainment at 800, why set the
2 limit at a thousand? Why not set it at 800? I'm just
3 talking about the logic of it.

4 MR. MUCHO: What part did he say, 800, as
5 far as reentrainment? Is that using longwall face
6 data?

7 DR. CALIZAYA: No, no, no. The diagram that
8 I had --

9 MR. MUCHO: From McPherson? Well, that
10 depends on particle size, too. Right? It depends on
11 distribution of your particle size.

12 DR. WEEKS: That one.

13 DR. BRUNE: From that diagram, I agree, it's
14 difficult to deduct a thousand feet per minute when
15 the diagram only shows 200 to 600. So it's kind of
16 like grabbing things out of the air.

17 DR. MUTMANSKY: We have to also consider
18 that feeling of being pelted by dust, and, of course,
19 that's a good reason not to work there or to avoid
20 working there. But it is somewhat of an issue.

21 The real problem is, on a belt conveyor,
22 there are not very many personnel being employed in
23 that area, so that's somewhat of a limiting factor.

24 I guess my question now is, what are we
25 leading to? This is what we have to address. I,

1 personally, believe that the minimum velocity should
2 be increased in some realistic fashion. I'm uncertain
3 about the maximum velocity. I still have questions
4 about it.

5 So my thought is let's work out the minimum
6 velocity first, see if we can come to a conclusion on
7 that, and then we'll attack the maximum velocity.

8 DR. TIEN: Just like you said, there is no
9 perfect system. Look at the chart you put on, the
10 diagram, yesterday, there always pluses and minuses,
11 and we all can cite one or two or three of them. So I
12 guess our goal is to look at the safety issue and
13 minimize the block you have over there and compromises
14 and trade-offs.

15 DR. MUTMANSKY: Yes. I, personally, believe
16 that 100 feet per minute should be passed in some
17 fashion. If somebody comes up with a way of
18 expressing those exceptions that we're talked about
19 here, and we can put that in words in our minimum-
20 velocity recommendations, then I think that's what we
21 need to have. Jürgen?

22 DR. BRUNE: Yes. I would perhaps add
23 something like, in the areas where the 100-feet-per-
24 minute minimum cannot be maintained, the district
25 manager should carefully examine this exemption before

1 approving the ventilation plan or something like that.

2 DR. MUTMANSKY: Okay. Well, we need to
3 express that. We need to express it in such a way
4 that it's perfectly obvious what meaning we have
5 there.

6 DR. WEEKS: The principal concern there
7 would be methane. Is that right?

8 DR. BRUNE: Not just methane but also the
9 travel time of contaminants, CO and smoke, to the
10 nearest sensor. If we're talking 50 feet per minute,
11 it takes 20 minutes to cover 1,000 feet. So maybe, at
12 that point, if there is an area of the belt, and they
13 cannot ventilate it with more than 50, then the sensor
14 spacing needs to be decreased, but that's something
15 that should be, in my opinion, decided on a case-by-
16 case basis by the examining ventilation officer or the
17 district manager that approves the ventilation plan.

18 DR. WEEKS: I think there is language in the
19 2004 rule that gives the district manager the option
20 of considering -- as I recall, it's in relation to the
21 upper velocity when you get a dilution effect. Then
22 he might change the threshold at which the signal goes
23 off. I don't know whether it applies to a minimum
24 velocity as well. I just don't know the rule quite
25 well enough.

1 MR. FRANCCART: The rule said, unless
2 otherwise approved in the mine ventilation plan, the
3 maximum velocity would be a thousand feet per minute.
4 That particular regulation was overturned in court,
5 though, as a result of litigation that was brought
6 forth by Jim Walter's.

7 DR. WEEKS: Yes, but the district manager
8 has an option, on his own discretion, to determine
9 what the threshold level is for setting a signal.
10 That survived, though, didn't it or not?

11 MR. FRANCCART: The district manager can
12 still require decreased spacing, additional sensors,
13 and reduce alert and alarm levels based on higher
14 velocities.

15 DR. WEEKS: Okay. That's what I thought.
16 But it doesn't apply to the lower velocities.

17 DR. MUTMANSKY: One other thought here.
18 Could we change the minimum-air-velocity
19 recommendation by simply stating the sensor time
20 element as opposed to the velocity of air? As you
21 probably recognized, one of the arguments that Fred
22 Kissell had talked about was how long does it take the
23 sensor to pick up a CO condition? In the entry, and,
24 I believe, as he discussed that, or somebody discussed
25 it early on, it takes a fair amount of time for a

1 1,000-foot sensor spacing to pick up CO levels in a
2 given entry if the velocity is quite low.

3 It gets complicated if we try to state it in
4 some other manner, I think.

5 MR. MUCHO: That would really complicate the
6 industry. They would be scratching their heads for a
7 while.

8 DR. MUTMANSKY: Yes, I think so. I think it
9 would.

10 DR. BRUNE: I would simply say, "Exemptions
11 may be granted at the discretion of the district
12 manager," and simply leave it at that.

13 DR. MUTMANSKY: That's an easy way of
14 expressing it. It lets us out of complicated
15 explanations, but is that the way to go? That's the
16 question.

17 MR. MUCHO: I would like to see some
18 language that heads it off in the meantime. For
19 example, when I operated a mine and put in a belt-air
20 petition, it wasn't long before the inspector walked
21 on the belt line and found the first high spot --
22 where we had a fault and we got a citation. Okay.
23 Well, for a minimum velocity, it's quite a high fault.
24 So we worked that out, and, sure enough, if we didn't
25 walk and find another high spot where there was

1 another problem, another citation.

2 So it would be nice if we had some language
3 in it that would kind of head that off ahead of time
4 before we get into a case-by-case assessment of every
5 inch of the belt, the conveyor system. I like the
6 average minimum velocity. Let people try to figure
7 out what that means.

8 DR. MUTMANSKY: "Average minimum velocity";
9 is that an oxymoron? I think we know what "average
10 minimum" means.

11 (Discussion held off the record.)

12 DR. WEEKS: I think the language that Jürgen
13 was headed at was not merely exemptions can be
14 granted, but you're saying that the district manager
15 ought to look at situations and approve them or make
16 recommendations or something like that.

17 DR. BRUNE: Yes. I'm adamant about that,
18 that the district manager, in his or her decision of
19 approving the ventilation plan, ought to take a look
20 at these exemptions and really judge whether that
21 makes sense in this area. Likewise, the mine
22 operator, in preparing the ventilation plan, would
23 have to anticipate potential areas where they may
24 encounter low or high velocities and bring this to the
25 attention of the district manager when submitting the

1 ventilation plan.

2 I think, in that respect, then it can be
3 addressed, and the mine operator can say, "Hey, in
4 this area, we have only 50 feet per minute or 70 feet
5 per minute, but, in order to improve the reaction time
6 of the AMS system, we will space the sensors so and
7 so. So you, District Manager, we bring it to your
8 attention, and this is how we're going to take care of
9 it."

10 I think that would be a good recommendation
11 because it brings the district manager and his or her
12 responsibility into play.

13 DR. WEEKS: Now, can you reduce that to a
14 sentence?

15 DR. BRUNE: As I said before, we could, as
16 far as both of these recommendations, we could add.
17 The district manager may approve exemptions to these
18 minimum-maximum recommendations in the ventilation
19 plan.

20 DR. WEEKS: I thought you were headed in a
21 slightly different direction, which is that you wanted
22 to require the district manager to look at those
23 exemptions, not merely give him the authority to do
24 it. I don't know what kind of language that would be,
25 but --

1 DR. BRUNE: If we state the recommendation
2 as a minimum or a maximum, like we have here, and then
3 say the district manager may approve, then that's up
4 to the discretion of the district manager.

5 DR. WEEKS: Okay. We still need a sentence.

6 DR. MUTMANSKY: We need a sentence, yes.
7 Are we going to address both minimum and maximum at
8 the same time here? Are we okay with that? I think,
9 Jürgen, you and Tom have been leading the discussion
10 here. I would think that one of you should propose a
11 word such that the district manager has some
12 discretion, and I want to have the words be as
13 understandable and as straightforward as possible, I
14 would think.

15 DR. BRUNE: Okay. I propose to say, "The
16 district manager may approve exceptions to the minimum
17 and maximum air velocity recommendations in the mine
18 ventilation plan." That sentence should follow the
19 second paragraph. It should be "recommendations."

20 DR. MUTMANSKY: Okay. I think that's a good
21 start. Now, I think we need to put the intent here.
22 Our intent here is to allow him exceptions in small
23 areas of the mine or in certain specific areas of the
24 mine. Isn't that correct?

25 DR. BRUNE: Yes, but I would not limit it to

1 small areas. I would limit it to specific areas
2 because the mine operator may have reasons why a
3 larger area needs to be ventilated at a higher
4 velocity, but then, again, it's something that should
5 be dealt with as part of the ventilation plan
6 approval.

7 DR. MUTMANSKY: I have no problem with that.
8 I have no problem with the ventilation plan approval.
9 I don't think we've given him enough guidance, is
10 what I'm saying. I think we need a more specific
11 description of where he may approve these exceptions.

12 DR. CALIZAYA: Jim, may I ask?

13 DR. MUTMANSKY: Yes, sir.

14 DR. CALIZAYA: I want to ask Bill about the
15 current law. We know that at the point-feed, the
16 minimum velocity is 300. Is that average velocity?
17 Here, the background is also average velocity. We
18 won't be able to measure minimum velocity near the
19 roof, especially when you have such velocities that
20 are close to zero. We don't have the instruments to
21 do that.

22 Here, when we are talking about minimum
23 velocity, we are talking about average velocity at a
24 given point, and that given point may be, as we have
25 right now, so many feet from the loading point or so

1 many feet from the point-feed because at the point-
2 feed, I'm sure, at Jim Walter's, we have more than
3 2,000 feet per minute. We know that they have tappets
4 near it. That's not what we are after. We all have
5 that one. No one works in that area. If someone
6 works, he knows that we have very high velocities.

7 So, really, what we need to do is specify
8 where these readings -- we want this average in the
9 belt entry, this minimum velocity in the belt entry,
10 and inby. Can I ask Bill for some clarification?

11 MR. FRANCAERT: Yes. The minimum velocity of
12 50 feet per minute is a minimum average air velocity,
13 and that's in any location within the belt entry, but,
14 in the rule we do have a caveat that says that it has
15 to be measured at a location with typical dimensions
16 of the entry. It wouldn't be in an abnormally high or
17 low area.

18 DR. WEEKS: One thing -- I don't want to
19 muddy the waters any further, but there's two
20 different kinds of averages. One would be a cross-
21 sectional average in which you do a traverse, and the
22 other would be an average across the entire length of
23 the entry. Conceptually, those are really quite
24 different creatures.

25 DR. BRUNE: In fact, an air reading, by

1 definition, as a traverse, is an average. It denotes
2 an average already, even if I'm traversing one spot or
3 one cross-section. So that's why the term "average"
4 itself is kind of ambiguous here. Like Jim says, it
5 does muddy the waters a little bit.

6 That's why I think, if we leave it to the
7 district manager to approve exceptions, then it's up
8 to the operator to determine where, in his belt
9 ventilation plan or his mine ventilation plan, he may
10 encounter velocities lower than 100 or higher than
11 1,000. Point it out to the district manager and tell
12 him, "This is what we have, and this is how we're
13 going to deal with it."

14 MR. MUCHO: I don't think we really need to
15 provide the guidance. These issues have been around
16 for a while. They have dealt with them, whether
17 you're talking about velocities on track entries and
18 things like that. So companies and district managers
19 have been down these roads. So I don't think we need
20 to provide detailed guidance.

21 DR. MUTMANSKY: I don't doubt that, Tom. I
22 would just ask, Bill, would you agree that the
23 district managers will clearly understand the intent
24 of this recommendation and can deal with it? Is that
25 something you would agree with?

1 MR. FRANCCART: Yes.

2 DR. MUTMANSKY: Thank you. Do we need more
3 discussion of this air velocity recommendation at this
4 point? Would anybody else like to bring thoughts to
5 the process at this point in time? Is the language of
6 the air velocity recommendation in good shape? Is
7 there any reason to say that we should apply this to
8 other mines where they are using belt-entry air at the
9 working section, or is this the way we want the
10 language to read at this point in time? You do.
11 Okay. Everybody is happy with that? Jerry?

12 DR. TIEN: Felipe and Tom talk about the
13 average minimum air velocity. Should we reflect that
14 in their wordings, or is that implied?

15 DR. MUTMANSKY: I think it's implied. I
16 think it's implied.

17 MR. MUCHO: As far as the average of the
18 cross-sectional area, that's implied. I was actually
19 talking about an average --

20 DR. TIEN: Along the belt line. Right?

21 MR. MUCHO: That's why I said, let people
22 figure out what it means.

23 DR. BRUNE: That's where you get into
24 whether it's a weighted average over certain sections
25 of the belt, and then you have different velocities

1 anyway because you lose air due to leakage. It's
2 going to be extremely difficult to even mathematically
3 come up with an average of a certain stretch.

4 DR. TIEN: Plus the fact that they change so
5 quickly.

6 DR. BRUNE: Yes. That's what I'm saying.

7 DR. TIEN: One hundred feet per minute is
8 not a lot of air at all.

9 DR. WEEKS: You know, there is a section of
10 the Mine Act that attempts to define what an average
11 dust level is, and it absolutely defies description,
12 if you want to see how messed up the concept can
13 become.

14 DR. MUTMANSKY: Well, we certainly don't
15 want to make it more complicated. The language here
16 is not terribly complicated. As long as it's well
17 understood, I think that we can move this forward.

18 Do we have any additional comments from the
19 panel, at this point in time, before we vote on this?
20 I think the language is pretty straightforward here:
21 minimum and maximum air velocities. We're talking
22 about minimum air velocity and mines using AMS as a
23 condition for using the belt entry to ventilate
24 working sections.

25 The minimum air velocity in the belt entry

1 should be 100 feet per minute. In mines using AMS as
2 a condition for using the belt entry to ventilate
3 working faces, the maximum air velocity should be
4 1,000 feet per minute. And we're saying the district
5 manager may approve exceptions to the minimum and
6 maximum air velocity recommendations in the mine
7 ventilation plan.

8 We have heard from several people who said
9 the language should be well understood, and we should
10 be able to get the intent of this implemented in the
11 mine ventilation plan, and that's what we're mostly
12 concerned with here.

13 Are we ready for a vote, gentlemen?

14 MR. MUCHO: I would just like to add
15 something. We're not going to get 75.371 ventilation
16 plan requirements. Some Subsection JJ -- I'm not sure
17 which one it is. The locations where velocities in
18 the belt entry exceed limits set forth in 75.350(a)(2)
19 and the maximum approved velocity for each location.
20 It's talking about what needs to be specified in the
21 plan and the map.

22 So, in a way, some of these things we're
23 talking about seem to have already been anticipated,
24 and they are sitting right there, so that should be
25 able to be handled quite easily, and it's already

1 facilitated in the requirements for the ventilation
2 plan and, of course, for the district manager to look
3 at it.

4 DR. MUTMANSKY: Okay. Should we call for
5 the vote, gentlemen? All right. I call for the vote,
6 and, Felipe, you vote first.

7 DR. CALIZAYA: I agree.

8 DR. WEEKS: Yes.

9 DR. MUTMANSKY: I vote yes. Jerry?

10 DR. TIEN: Yes.

11 DR. MUTMANSKY: Jürgen?

12 DR. BRUNE: Yes.

13 MR. MUCHO: Yes.

14 DR. MUTMANSKY: We record the vote as a
15 unanimous vote for the minimum and maximum air
16 velocities recommendation.

17 Okay. Good. Is this a good time to take a
18 10-minute break? Thank you. We will take a 10-minute
19 break.

20 (Whereupon, at 10:45 a.m., a short recess
21 was taken.)

22 DR. MUTMANSKY: Ladies and gentlemen, we
23 would like to go back into session, and it is our task
24 right now to look at the point-feeding recommendation
25 that has been presented, and you'll see it there on

1 the screen. I will present the arguments for the
2 point-feeding recommendation, and I would like to
3 mention that the point-feeding recommendation came
4 about in our field visits to the Utah mines, and, at
5 that particular point in time, when I began to
6 understand the point-feeding concept, I had some
7 thoughts that it was an inherent defect in the
8 ventilation plan.

9 My additional study of the point-feeding
10 concept led me to believe that I should forward this
11 recommendation to the panel. Some of the problems
12 with the point-feeding concept are that the point-
13 feeding regulator is actually quite far from the
14 working face, and when incidents would occur, there
15 would be an awful long distance to travel to the
16 point-feeding regulator.

17 So the biggest problem that I see, of
18 course, is if there is a fire in the main intake
19 before or outby the point-feeding regulator, then both
20 the intake, the primary intake, escapeway and the
21 secondary intake escapeway could be contaminated with
22 the combustion byproducts if that fire occurs beyond
23 that regulator.

24 Now, to support the idea that this is
25 important, I would refer to the testimony given by

1 Fred Kissell at the Pittsburgh meeting. At that
2 particular meeting, he said that there were four
3 common features often associated with fatalities
4 involving mine fires, and these common features were
5 delayed evacuation, lack of lifelines, confusion in
6 locating escapeways, and malfunctions of SCSRs.

7 As you probably realize, some of the events
8 of 2006 have led to improvements in use of lifelines
9 and, hopefully, will result in significant
10 improvements in SCSRs. So some of these features that
11 Fred was referring to have already been addressed. At
12 least, the intent is to provide better lifelines and
13 better SCSRs.

14 However, delayed evacuation and confusion in
15 locating escapeways could be complicated by the point-
16 feeding strategy. So the point-feeding strategy is
17 something that, I think, presents some problems.
18 However, I do believe that the point-feeding
19 recommendation that you see before you here can solve
20 some of these problems using the AMS system.

21 As you probably recognize, what I'm
22 recommending here is that the AMS system close the
23 regulator to keep the intake escapeways separated
24 immediately if CO is detected by two sensors outby the
25 point-feed regulator.

1 As was discussed in the early discussions
2 that we had, and I don't remember which city we were
3 in at the time, but it was discussed at that point in
4 time that to close a point-feed regulator, you don't
5 have to go to the regulator. You have a point close
6 to the regulator where, as you're evacuating from the
7 mining operation, you can close that regulator.

8 In this proposal, the point-feeding
9 regulator would be closed automatically by the AMS
10 system. If two outby sensors detect CO at their
11 locations, the section would be notified of the
12 closing of the regulator, and the regulator would be
13 automatic. In other words, the AMS system would close
14 the regulator immediately upon sensing those
15 conditions. I think this is one way to overcome some
16 of the problems of the point-feed regulator.

17 We'll have to read the point-feeding
18 recommendation here. What we specifically are asking
19 is that two CO sensors be placed in the primary
20 escapeway outby every point-feed regulator and that a
21 certain amount of space be put between these two
22 sensors so that a very small, local situation, such as
23 a diesel piece of equipment or something of that sort,
24 would not immediately set these sensors off.

25 If both of these sensors reach the alert

1 level of the mine, a warning signal will be given at
2 the regulator location, and that point-feed regulator
3 would be closed.

4 Okay. I have presented sort of the basic
5 logic of this point-feeding situation. I'm open for
6 discussion and for those who might have comments
7 rebutting the basic logic of this proposal.

8 MR. MUCHO: I would like to just address two
9 areas. Basically, I think this is a very strong
10 proposal because, as we talked about in earlier
11 meetings, a real problem is if you have a fire in the
12 primary escapeway outby the point-feed, and one of the
13 reasons it would be nice to have the belt entry on the
14 intake air toward the face would be to have that
15 escapeway out. So this goes a long way to maintaining
16 the integrity of that or providing integrity of that
17 for escape. So I think it's quite important, and I
18 think it's a nice way to accomplish it.

19 I have two concerns. One is the automatic
20 activation. I'll be honest -- I say it's a concern;
21 it's something that I've thought about. Since we have
22 an AMS operator there, we also have the possibility of
23 an alert coming up to the AMS operator, and the AMS
24 operator triggering that action. So we could have a
25 person intervening, which may have some additional

1 data, perhaps on the performance of those two sensors
2 or whatever, that maybe they wouldn't do it.

3 The basic reason for that, of course, is
4 when we close that point-feed regulator, especially
5 with the 300-feet-per-minute requirement and so on,
6 we're probably at quantities greater than 9,000 feet
7 per minute, so we're into a legal air change which has
8 been something -- to do an air change without taking
9 the precautions that are in the regulations for making
10 a major air change are something we've tried to avoid,
11 period.

12 One of the reasons for air change provisions
13 are that it's hard to know for sure the whole impact
14 when we're making an air change like that. Many of us
15 have been surprised when we've made air changes as to
16 what happened.

17 In this case, it's going to be the less of
18 that case. We pretty well know how it will impact
19 things. So, certainly, in terms of an emergency, we
20 can weigh over the safety benefits over the chance of
21 making an air change while power is on and people are
22 in the mine and so forth. But I just wonder -- it's
23 just a caution -- would it make sense to have that
24 personal intervention in there in the event they have
25 more data rather than have it automatically happen?

1 So that's the first one.

2 The other one -- I touched on this in an
3 earlier meeting -- is the automatic activation of the
4 system, the point-feed. I know some people have
5 developed some systems to do that, but I think, from
6 an engineering standpoint, having a good system that
7 will reliably do that, be able to perform in the face
8 of various types of emergencies, is an engineering
9 challenge, to an extent, and there's probably some
10 good ways to do that, and there's probably a lot of
11 bad ways to do that.

12 So that might be one of the kind of things
13 you might want to be moved to the research thing. I
14 think some people who are some people maybe in NIOSH,
15 maybe MSHA, or a combination, whoever, really ought to
16 look at that. There are some good, reliable systems,
17 good air seals, provisions for potential power
18 failures because of the emergency. There's a real a
19 lot of engineering issues there. So those are the two
20 comments.

21 DR. MUTMANSKY: Jürgen, did you want to also
22 add to Tom's comments?

23 DR. BRUNE: Yes. I, first of all, share
24 Tom's concerns with respect to the air change. What
25 might happen is that you get dead air on the belt

1 after you close that point-feed regulator. There may
2 not be enough air to ventilate the belt, and you may
3 end up getting smoke rollback. If you have the fire
4 inby the point-feed regulator, you may end up getting
5 smoke rolled back.

6 So it's an issue that, I believe, has to be
7 decided by a competent mine foreman, or somebody who
8 has equivalent experience, and would relay that
9 information to the AMS operator to close that. In
10 specific situations, I agree that closing the point-
11 feed can be helpful and beneficial to improving the
12 chances for escape to the miners, but, in other cases,
13 that may be quite the opposite, and we may make things
14 worse by reducing the air speed on the belt inby the
15 point-feed where there is no more air coming in from
16 the intake, and reducing contamination with methane
17 and potentially smoke and other gases.

18 I also agree with Tom that the engineering
19 of an automatic door or regulator that will function
20 after it has been subjected to convergence and roof
21 changes -- often we can't make regulators stand up to
22 convergence and then sagging roof and heaving floor,
23 let alone automatic doors. So it's a challenge.

24 MR. MUCHO: Just to that last part, the one
25 we saw at the Jim Walter Mine was using sort of the

1 industrial garage door concept, which helped address a
2 lot of the convergence and so on issues. A lot of the
3 engineering issues I'm referring to -- the activation
4 of the system, the powering of the system, a fail-safe
5 design, again, in the event that we lose power --
6 there is a lot of engineering there that's pretty
7 tricky, in my opinion.

8 DR. MUTMANSKY: Okay. I would like to rebut
9 your comments just a bit. I think your concerns are
10 very real, and I do believe that there will be issues
11 that have to be addressed if you were to try to do
12 this.

13 I do believe, however, that a gravity-
14 powered door would be just as good as a garage door.
15 A garage door has a lot of utility because it can be
16 opened or closed using a power source, and that's very
17 nice, but as far as a regulator closing is concerned,
18 you can use a gravity-powered door. That, I think,
19 would be, in some cases, acceptable. I don't know if
20 that's the best way, though. I certainly would not
21 argue that it's the best way. It isn't necessarily
22 the best way. There is research that must be done, I
23 think, to overcome any of the problems that you're
24 mentioning.

25 I'm just saying it's not so certain that

1 it's that much of a problem.

2 MR. MUCHO: My point is I totally agree with
3 you. I don't think it's an insurmountable engineering
4 problem. I'm just saying that I think there are
5 better ways and worse ways to do it, and we certainly
6 don't want a lot of installations that end up in that
7 latter category. So I think it ought to be looked at
8 and detailed up and some aspects of it thought out
9 that, I suspect, aren't thought out in all cases.

10 DR. MUTMANSKY: Okay. If you're serious
11 about the AMS operator being the decision-maker --

12 MR. MUCHO: I'm just raising the issue.

13 DR. MUTMANSKY: You know, the problem of
14 closing the door still remains. If the AMS operator
15 is still the decision-maker, she has to have a trigger
16 somewhere that triggers the mechanism, and then that
17 mechanism still has the same kind of problems there.

18 MR. MUCHO: Well, it's the same basic
19 system. AMS system doing it automatically or the
20 person doing it through the AMS system; it's the same
21 system.

22 DR. MUTMANSKY: More or less, the same
23 system.

24 Anybody else want to weigh in on this?

25 DR. WEEKS: Well, first of all, this reaches

1 the limits of my expertise in mining so I'm somewhat
2 uninformed on this area. However, my instinct is to
3 agree with a lot of what Tom and Jürgen are saying,
4 and that is, I somewhat distrust automatic systems in
5 general, especially when it comes to safety, because
6 in a situation where there is an emergency, many
7 things go wrong. That's the nature of an emergency.
8 But I see the value of having it automatic, for the
9 reasons that Jan mentioned.

10 So one possible solution would be to just
11 specify, it has to have a manual override, and most
12 automatic systems do, one way or another, but I think
13 it's important to have that feature in there so that a
14 person could intervene, depending on the
15 circumstances.

16 DR. MUTMANSKY: Felipe, do you have any
17 comments?

18 DR. CALIZAYA: My comment is regarding the
19 possibility of failure that you may have when you
20 really need to stop or close that regulator. It is a
21 serious business. It's very much the same thing with
22 booster fans. There would be times when you need to
23 stop that, and, for that, you need redundancy. The
24 power supply needs to be in a separate light. I think
25 that's a very well-known technology.

1 You need to look at this regulator. Just
2 like a booster fan, it's such an important item. We
3 don't have point feeds everywhere. In Jim Walter, we
4 saw one, and it was very good. It was doing the job,
5 I should say. In this particular case, I don't know
6 if it were possible to install two sensors upwind. It
7 was very close to the main shaft.

8 Maybe in that case, for instance, another
9 sensor would be sufficient. In order to find out
10 whether this point-feed is working or not, I think, by
11 the regulations, we need to have one monitor in front.
12 Maybe that one is already in place. What we need to
13 add is just another one to make sure in case we have
14 some unusual situation.

15 MR. MUCHO: In that case, the point-feed was
16 about 150 feet away from the shaft, so you wouldn't
17 have room to put in two sensors, but I'm sure most of
18 us would agree that point-feed sitting right off the
19 shaft, even with the one sensor there, you would have
20 to wonder why you would put it in there. Jürgen?

21 DR. BRUNE: I'm just thinking about another
22 possibility, that the closing of the point-feed may
23 ultimately fail the objective of making things safer.
24 I would have to run a couple of models to verify
25 that, but I could imagine that, in certain situations,

1 if you reduce the belt air velocity and the belt air
2 quality, you will then also reduce the pressure loss
3 that is experienced on the belt over the length
4 towards the face, and, at the same time, if you run
5 more air, since closing the point-feed, if you run
6 more air down the intake, you increase the pressure
7 loss due to resistance of the length. So, eventually,
8 you may end up reversing the pressure balance between
9 the belt and the intake, and that leading to smoke
10 leaking from the belt towards the intake downwind and
11 towards the face.

12 So there is that possibility. I'm not sure,
13 right off the bat, how to document that, but it's
14 certainly something that can be easily modeled with a
15 ventilation simulation.

16 DR. MUTMANSKY: That would be correct, but I
17 think, when you close the point-feed regulator, you
18 would increase the pressure in the primary intake,
19 which, in most cases, would be okay, but this would be
20 a case where something outby the point-feed regulator
21 were on fire. So it wouldn't be the belt that was on
22 fire.

23 This requires careful consideration of all
24 possibilities, and that's what you're pointing out.
25 You're pointing out that we need to think of every

1 possibility, and that's basically true.

2 DR. WEEKS: I've got a question on another
3 detail. You specify that if the monitors reach the
4 alert level, a warning be given. Why the alert level
5 and not the alarm level?

6 DR. MUTMANSKY: That was an arbitrary
7 decision. If you want me to change that to alarm
8 level, I'm okay with that, but I think the basic
9 problem was just simply an early warning that there
10 was a problem. That's the only reason.

11 DR. WEEKS: Because there's likely to be
12 more false alarms at the alert level than at the alarm
13 level, I would think.

14 DR. MUTMANSKY: I think my biggest problem
15 is some of these point-feed regulators are miles from
16 the working section. That's the biggest problem I
17 see. You're vulnerable there because of the distance,
18 and my initial reaction to that was not very
19 favorable, and I would like to find a solution to it.

20 Somebody said, early on in our discussions,
21 but we almost never have a fire in the intake
22 escapeway. "Almost never" is not never, and you have
23 diesel equipment operating there at times, and
24 occasionally you will have a diesel fire. There are
25 other types of equipment operating.

1 I think this is just a thought that we need
2 to do a better job with regard to fires in that
3 primary intake outby the point-feed regulator. It's
4 an inherent defect, which may not have huge
5 probability of occurring; that is, you may not have
6 fires there very often, but when you do, I think there
7 is a serious problem there.

8 How do we fix this? That is my question.
9 Do we fix this? Tom and Jürgen, you're leading the
10 charge here. Would you like to propose?

11 MR. MUCHO: Well, as I said, I just was
12 raising some concerns. The one point I raised about
13 the engineering on the automated point-feed close; I
14 think that ought to appear in the research section, so
15 we don't need to address that here.

16 The question of AMS operator intervention; I
17 was really throwing it out to see what the rest of the
18 panel's thoughts, if anybody had some strong feelings.
19 I'm kind of ambivalent about it. On the one hand, I
20 like it, and, on the other hand, I don't like it.

21 DR. WEEKS: Could you run over it again,
22 when you were talking about AMS operator intervention?
23 What were you suggesting?

24 MR. MUCHO: Well, instead of the system
25 automatically closing the point-feed regulator, the

1 system comes up and tells the AMS operator, You have
2 this problem. Two sensors are alarming. You should
3 close the point-feed regulator or whatever.

4 I'm saying, in terms of the intervention,
5 and Jan pointed out, for example, the spacing tries to
6 address the issue of diesel equipment triggering both
7 of them, but possibly there could be information
8 available to the AMS operator that might understand
9 that something other than a fire triggered that, so
10 they wouldn't take that action. They certainly may
11 even think about it for a few minutes and look at the
12 trends and then do it. Is that a benefit? Rather
13 than, bang, we just made an air change, and deal with
14 it.

15 DR. MUTMANSKY: Jim, the way it's currently
16 done, somebody has to go to the regulator in the
17 primary intake escapeway and trigger the closing of
18 the regulator.

19 In this particular case, if we were to do
20 this with the option being available for the AMS
21 operator to close it, it would certainly improve the
22 situation. There wouldn't be as many false alarms,
23 there wouldn't be an air change unless there is a
24 fairly high probability of a problem rather than a
25 false alarm, so that would be a possibility.

1 Jürgen, you were going to say something.

2 DR. BRUNE: Yes. I'm trying to spin this
3 even further. Traditionally, the understanding in
4 underground coal mining is that all ventilation
5 responsibility lies with the general mine foreman, and
6 if the general mine foreman is not available, then
7 it's the shift foreman on the afternoon-to-midnight
8 shift.

9 Those people, in my opinion, have the
10 ability to understand the consequences of air changes,
11 and they should, in my opinion, review a decision to
12 close a point-feed before it is made. I would endorse
13 the ability of the AMS operator to initiate this
14 closing, but I would recommend that this only happens
15 after the AMS operator speaks to the general mine
16 foreman or the responsible shift foreman.

17 I think that would give it a lot more basis
18 for the decision, and those people that then make that
19 responsible decision would have the necessary level of
20 understanding and maturity in this case to make a
21 decision like that because, again, any air change,
22 especially in a fire situation, is extremely tricky
23 and requires very careful thinking. In fact, a lot of
24 times, even with MSHA on site, air changes are pretty
25 much the last thing that is considered in a mine fire

1 situation.

2 MR. MUCHO: The person that Jürgen is
3 talking about, in terms of the ventilation decision,
4 is the responsible person. In some cases, the AMS
5 operator is that responsible person. They can talk to
6 themselves and make a decision and move on. The
7 problem, of course, following that line of thinking,
8 is the responsible person is underground, and I can't
9 get a hold of him real fast. Now what do I do? Do I
10 push that button? Do I keep trying? That's the
11 problem that I see.

12 DR. WEEKS: Is there a problem with remotely
13 closing this off as opposed to somebody being on site,
14 as Jan and you suggested? That's not a problem?

15 DR. BRUNE: I don't think so, provided the
16 technical implications of remotely closing. In fact,
17 if you want to remotely activate it, then you ought to
18 have also the opportunity to deactivate it and open it
19 up again. If things show, and this speaks against a
20 gravity-operated door because you can't reverse
21 gravity that easily.

22 So that requires some research, some
23 engineering. If you close it remotely, which, I
24 believe, is a good thing and would be a good thing to
25 have, then you ought to have the ability to also open

1 it, should the closing reveal that, "Hey, wait a
2 minute. This wasn't a good idea."

3 DR. MUTMANSKY: It's interesting that you
4 mentioned this garage door. At Jim Walter Resources,
5 how do they open that once it's closed?

6 MR. MUCHO: It was through an electrical
7 system done remotely. It was not tied into the AMS
8 system, however.

9 DR. MUTMANSKY: Okay.

10 MR. MUCHO: So the triggering device was a
11 cross-cut or two away.

12 DR. MUTMANSKY: Yes. Okay.

13 MR. MUCHO: An electric motor with some
14 backup; that installation seemed well engineered. We
15 didn't get into a lot of detail about it, but -- I
16 didn't want to press the issue.

17 DR. WEEKS: Is the language change -- I want
18 to try and put some words in your mouth here. Are you
19 saying that, in the event that these two alarms go
20 off, that there should be a signal on the screen to
21 the AMS operator to close the door and contact the
22 responsible person? Would that be a satisfactory way
23 to deal with this, from your point of view?

24 DR. BRUNE: Yes.

25 DR. WEEKS: So that's the language you're

1 essentially talking about.

2 DR. MUTMANSKY: Okay. I see Tom and Jürgen
3 saying yes to this. Can we fix this? Can we fix the
4 point-feeding recommendation by a word change or by
5 changing that particular aspect of the recommendation?
6 If so, let's go ahead and fix it. Tom, are you in
7 agreement we can fix this?

8 MR. MUCHO: Oh, yes.

9 DR. MUTMANSKY: Jürgen?

10 DR. BRUNE: Yes, we can fix it.

11 DR. MUTMANSKY: Now, the rest of you, are we
12 okay with that? Is everybody okay with that? All
13 right. Let's propose, and I think it's important that
14 we recognize we still have to decide whether the
15 responsible person is the person that is the decision-
16 maker here, and, if so, we state it in there, and we
17 can say that the AMS operator can be the person who
18 triggers the device to work but that the person has to
19 consult with the responsible person. Okay. Let's see
20 where this should go.

21 DR. BRUNE: A warning signal should be given
22 at the regulator location, full stop. And then the
23 next sentence is the one we would modify.

24 DR. MUTMANSKY: Well, the warning may not
25 need to be given until after the responsible person

1 says, Move ahead.

2 DR. BRUNE: No. I would say, the warning
3 signal should be given because we have a CO alert in
4 two independent sensors. So I think that's perfectly
5 good at that point. Then follow by the AMS system
6 operator should have the ability to close the point-
7 feed regulator after consulting with the responsible
8 person.

9 DR. MUTMANSKY: I think that would be okay.
10 I would think that that would be a good way of fixing
11 the thing in such a way that the responsible person
12 becomes the primary decision-maker and that we would
13 move from that point on. So a warning signal would be
14 given at the regulator location, period.

15 DR. BRUNE: Period. And then say the AMS
16 system operator -- the AMS operator -- we wanted to
17 leave the system out of that -- the AMS operator shall
18 have the ability to remotely initiate the closing of
19 the point-feed regulator after consulting with the
20 responsible person.

21 DR. CALIZAYA: Jürgen, do you mean "ability"
22 or "authority"?

23 DR. BRUNE: Okay. Ability and authority.

24 DR. MUTMANSKY: Ability and authority, yes.
25 We need both.

1 DR. BRUNE: Now, the other question is,
2 should we expand that to not just a closing but also
3 adjusting and opening? There may be situations where
4 you just reduce the point-feed, and you achieve the --

5 MR. MUCHO: I think we're getting way too
6 complicated.

7 DR. MUTMANSKY: That's too nebulous, I
8 think. We either close it or we don't.

9 All right. Let's see how it reads. Okay.
10 We propose that if both of these monitors reach a CO
11 alert level of the mine, a warning signal be given at
12 the regulator location. The AMS operator shall have
13 the ability and authority to remotely initiate the
14 closing of the point-feed regulator after consulting
15 with the regular person.

16 DR. BRUNE: The responsible person.

17 DR. MUTMANSKY: With the responsible person.
18 The section foreman must be notified. The point-feed
19 regulator should be opened only after the AMS operator
20 and the foreman decide definitively that no fire or
21 other emergency situation exists. Should the foreman
22 be the person?

23 DR. BRUNE: The responsible person in this
24 case.

25 DR. MUTMANSKY: Well, actually, the foreman

1 is in a better position to --

2 MR. MUCHO: May be there and may be better
3 aware of the situation than the responsible person.

4 DR. MUTMANSKY: Better aware of the
5 situation, yes.

6 DR. BRUNE: But then I would say, make it
7 the section foreman because we mentioned him before.

8 DR. MUTMANSKY: Yes, section foreman.
9 Right.

10 MR. MUCHO: I think, or a responsible
11 person.

12 DR. BRUNE: Yes. Section foreman or a
13 responsible person.

14 MR. MUCHO: It just depends. That section
15 foreman may still only be halfway down the panel --

16 DR. MUTMANSKY: That's correct.

17 MR. MUCHO: -- and the responsible person
18 may be the person who knows the most.

19 DR. MUTMANSKY: There may be somebody else
20 feeding information that confirms that no hazardous
21 situation exists.

22 DR. BRUNE: Also, I would replace the word
23 "decide" in the second-to-last line with "determine."

24 DR. MUTMANSKY: Determine, yes.

25 DR. BRUNE: Definitely, I think that's

1 really superfluous. If you determine that no fire or
2 emergency situation exists, you've got to be pretty
3 definitive.

4 DR. MUTMANSKY: Okay.

5 DR. TIEN: Jan, this is very long.

6 DR. MUTMANSKY: Yes, it is.

7 DR. TIEN: I wonder if you could break it
8 into several paragraphs logically.

9 DR. MUTMANSKY: Well, I don't see any
10 problem with that. I don't see any problem with that.
11 Let's read it all over and see if there is a natural
12 place to break it into paragraphs.

13 DR. WEEKS: Can I suggest one word change?
14 In the third line, it says "as required by 30 CFR," et
15 cetera. It makes it read as if point-feeding is
16 required, and that's really not the case; something
17 like "as provided by," something like that. That
18 doesn't help with the length. Sorry.

19 DR. MUTMANSKY: Okay. Let's read it
20 quickly.

21 "The technical study panel recommends that
22 when point-feeding from adjacent entries into the belt
23 entry is done to supplement air flow --" "performed"
24 perhaps would be a better word "-- is performed to
25 supplement air flow through the belt entry, as

1 provided by 30 CFR § 75.350(d), those mines have an
2 additional requirement to more quickly provide two
3 separate escapeways in an emergency situation.

4 "Specifically, the panel recommends that two
5 CO sensors be placed in the primary escapeway outby
6 every point-feed regulator with 1,000 feet of space
7 between the two, if possible. We propose that if both
8 of these monitors reach the CO alert level of the
9 mine, a warning signal be given at the regulator
10 location.

11 "The AMS operator shall have the ability and
12 authority to remotely initiate the closing of the
13 point-feed regulator after consulting with the
14 responsible person. The section foreman in the
15 affected section must also be notified so that
16 checking on the cause of the problem and evacuation
17 can be initiated in a quick and orderly manner.

18 "The point-feed regulator should be opened
19 only after the AMS operator and the section foreman or
20 responsible person determine that no fire or other
21 emergency situation exists."

22 I see some word changes I would like, but,
23 nonetheless, do you see the natural place to separate
24 paragraphs? Jürgen?

25 DR. BRUNE: Let me throw one other thing in

1 that's a bit of a concern of mine. The last sentence:
2 "The point-feed regulator should be opened only after
3 the AMS operator and the section foreman or
4 responsible person determine that no fire or other
5 emergency situation exists."

6 Provided we have a fire, and we determine
7 that closing the point-feed regulator makes the smoke
8 situation worse, what do we do then? The fire exists,
9 but this does not allow us to open up again and
10 restore the original ventilation pattern. I'm not
11 sure if that's something we want to recommend.

12 DR. MUTMANSKY: That's a good thought. Is
13 there ever a situation that you can envision where the
14 fire --

15 DR. BRUNE: As I said earlier, if you have a
16 fire just inby the point-feed regulator on the belt,
17 when you close that point-feed regulator, you are
18 changing the air and air flow to the fire, and you may
19 encounter smoke rollback to a point inby the point-
20 feed regulator, and from then on you may then
21 experience leakage and smoke in-by the point-feed
22 regulator.

23 DR. MUTMANSKY: I missed the point. Where
24 is the fire located, out-by the --

25 DR. BRUNE: Just in-by, just in-by.

1 MR. MUCHO: In-by wouldn't be triggered
2 under these criteria.

3 DR. MUTMANSKY: It wouldn't be triggered.

4 DR. BRUNE: Depending on how far the fire
5 has advanced and how much heat --

6 DR. MUTMANSKY: Do you want to know
7 something, though? If there is a fire --

8 MR. MUCHO: -- between the two sensors.

9 DR. MUTMANSKY: -- between the two sensors.
10 That's an interesting point. There is also the
11 implication that really maybe this feature should be
12 used even if the fire is in by the point-feed
13 regulator. It can be used.

14 MR. MUCHO: I think that gets real cautious.
15 I think you really need to watch that one.

16 For one thing, the issue Jürgen brought up a
17 little earlier: If you close that point-feed, you're
18 going to increase the leakage from the primary into
19 the belt, and you may be jeopardizing that as an
20 escapeway. So I would rather slide by with --

21 DR. MUTMANSKY: Well, I would say that the
22 leakage through a point-feed regulator would always be
23 greater than the leakage through the stoppings.

24 MR. MUCHO: Well, I'm saying, if you close
25 it.

1 DR. BRUNE: You increase the pressure on the
2 intake, and you decrease the pressure --

3 MR. MUCHO: You're going to increase the
4 leakage into the belt.

5 DR. MUTMANSKY: That is correct. Let's
6 assume you close it, and there would be leakage into
7 the belt. Would that leakage be less or greater than
8 the leakage through the point-feed regulator?

9 MR. MUCHO: Well, if the fire is in-by, I
10 would not get any leakage through the point-feed,
11 unless, as Jürgen points out, unless it's in the first
12 cross-cut inby the point-feed, in which case I get
13 some smoke rollback and feeding.

14 DR. MUTMANSKY: It's complicated, isn't it?

15 MR. MUCHO: I think you try to cover as many
16 and as much of the situations as you can. To try and
17 cover every detail you would start writing major books
18 on the topic.

19 DR. MUTMANSKY: Right.

20 DR. BRUNE: Well, the question still
21 remains. We had discussed earlier that we would like
22 to see, or, at least, I personally would like to see,
23 the AMS operator also having the ability of remotely
24 opening that point-feed again, based on decisions.

25 So if it can say that the point-feed

1 regulator should be opened but only after the AMS
2 operator and the section foreman or responsible person
3 review the situation and determine the best course of
4 action.

5 DR. MUTMANSKY: We put closing and opening
6 right in that one sentence that begins, "The AMS
7 operator shall have the ability to initiate the
8 closing and the opening of the point-feed regulator."

9 DR. BRUNE: Yes. And then strike the last
10 sentence.

11 DR. TIEN: Tom, may I?

12 MR. MUCHO: Yes.

13 DR. TIEN: Your concern is that the fire
14 inby the point-feed would not be detected in case of
15 what you're saying.

16 DR. BRUNE: My fundamental concern is that
17 if we initiate an air change that has otherwise proved
18 detrimental to the escape situation, through some
19 circumstance that we cannot foresee, then it may be
20 advantageous to the rescue to close that point-feed
21 again and restore the original air flow.

22 DR. MUTMANSKY: Sure.

23 DR. BRUNE: And I would like to have that
24 ability in the hands of the responsible person through
25 the AMS operator.

1 DR. MUTMANSKY: I would agree with that.

2 DR. BRUNE: If we say it should only be
3 opened after the AMS operator and everybody determines
4 no fire emergency exists, well, we take that ability
5 away because if the fire and emergency exists, we
6 still want that ability.

7 DR. WEEKS: I've got a couple of suggestions
8 for simplifying language here. The part where it
9 gives the AMS operator the ability to open or close
10 the door; I would just say that the AMS operator shall
11 have the ability and authority to remotely close or
12 open the point-feed regulator.

13 DR. BRUNE: Yes. That's fine.

14 DR. WEEKS: I have another question. The
15 way the last sentence reads, both the AMS operator and
16 the section foreman had to determine that no fire, et
17 cetera, exists. If the AMS operators are on the
18 surface, how can they determine, you know, definitely
19 that there is no fire, when only the person on the
20 scene can do that?

21 DR. BRUNE: The section foreman, isn't it?

22 DR. MUTMANSKY: Well, actually, it's a
23 cooperation between the AMS operator and the section
24 foreman. The AMS operator has to say to the section
25 foreman, "I still have two CO readings in so-and-so

1 entry. Go and check them out."

2 DR. WEEKS: But then it's the section
3 foreman who sees what's going on. You know, the AMS
4 operator can tell him where to go, but the person who
5 is there is the one that can determine definitely
6 whether or not there is a fire.

7 DR. BRUNE: Can I propose to strike that
8 last sentence?

9 DR. WEEKS: Altogether?

10 DR. BRUNE: Yes. We have, in the second-to-
11 last sentence, "The AMS operator shall have the
12 ability and authority to remotely close or open the
13 point-feed regulator after consulting with the
14 responsible person."

15 DR. MUTMANSKY: It's true.

16 DR. TIEN: Well, if that's the case, do you
17 also like to have the AMS operator and the section
18 foreman?

19 DR. WEEKS: Well, it's going.

20 DR. BRUNE: Again, I would take that
21 sentence out completely because it does not add value
22 but, rather, can potentially cause complications
23 because once we close it, we can't open it anymore,
24 even though it may be better to open it.

25 DR. WEEKS: Push the delete button. You may

1 recall that movie, "2001: A Space Odyssey," the
2 memorable line, "Close the pod bay door, Hal." It's
3 sort of like what's going on here. There are
4 historical antecedents to our deliberations.

5 DR. MUTMANSKY: This is a very relaxed panel
6 here. This is a serious matter. It's nice that we're
7 taking our time with this. I do believe that the
8 panel has improved the recommendation considerably,
9 and I think we are making good progress on this one.
10 I think the section foreman issue, when you took out
11 that last sentence, the section foreman gets
12 eliminated sort of from the opening of that regulator
13 again. So I still think we need to consider the
14 possibility of reentering some of that information
15 back into the recommendation.

16 Let me start up. About halfway through,
17 I'll start reading it, and we can then reword it, if
18 necessary.

19 "We propose that if both of these monitors
20 reach the CO alert level of the mine, a warning signal
21 be given at the regulator location. The AMS operator
22 shall have the ability and authority to remotely close
23 or open the point-feed regulator after consulting with
24 the responsible person. The section foreman in the
25 affected section must also be notified so that

1 checking on the cause of the problem and evacuation
2 can be initiated in a quick and orderly manner."

3 Now, at this point in time, the operator and
4 the responsible person still have the authority to
5 open that, but the section foreman is not involved.
6 My question is, should we have the section foreman
7 involved, and should we state that?

8 DR. BRUNE: I think having the responsible
9 person involved and having him or her being the
10 decision-maker in this case is appropriate, and he or
11 she would not make a decision without consultation
12 with the section foreman, but if the section foreman
13 is not available due to some circumstance -- he is
14 getting his crew together, rounding up his men -- at
15 some point, the responsible person has to make the
16 call, and he or she is the one most capable. I would
17 leave the section foreman out of that decision-making
18 process.

19 DR. MUTMANSKY: Okay. What about wording?
20 Are we all comfortable now with this one, and should
21 we work on the wording some more, or should we work on
22 any other issues here?

23 Okay. Let's work on the wording. "Point
24 feeding. The technical study panel recommends that
25 when point-feeding from adjacent entries into the belt

1 entry is performed to supplement air flow through the
2 belt entry, as provided by 30 CFR § 75.350(d), those
3 mines have an additional requirement to more quickly
4 provide two separate escapeways in an emergency
5 situation.

6 "Specifically, the panel recommends that two
7 CO sensors be placed in the primary escapeway outby
8 every point-feed regulator, with 1,000 feet of space
9 between the two, if possible.

10 "We propose that if both of these monitors
11 reach the CO alert level of the mine, a warning signal
12 be given at the regulator location. The AMS operator
13 shall have the ability and authority to remotely close
14 or open the point-feed regulator after consulting with
15 the responsible person. The section foreman in the
16 affected section must also be notified so that
17 checking on the cause of the problem and evacuation
18 can be initiated in a quick and orderly manner."

19 I no longer like the thousand feet. I think
20 Tom raised a very important point. Tom says, What
21 happens if the fire is between the two CO sensors?" I
22 think we need to question that thousand feet at this
23 point in time. Is there a better way of having two
24 sensors implemented here?

25 DR. BRUNE: Can we say, "at appropriate

1 locations out-by," or we can say, "The locations for
2 these sensors shall be determined in the ventilation
3 plan"?

4 DR. MUTMANSKY: That would be better than
5 saying a thousand feet, I would say, yes.

6 DR. WEEKS: What if -- this complicates it
7 too much. What if the criterion was not both at the
8 alert level or one at the alarm level?

9 DR. BRUNE: I think it would be appropriate
10 because, at that point, the AMS operator gets the
11 alarm, and he can decide the course of action. That's
12 his responsibility. But we have two sensors so that
13 we can --

14 DR. MUTMANSKY: So you're saying, "We
15 propose that if both of these monitors reach the CO
16 alert level, or if one sensor reaches the alarm level,
17 a warning signal --" I would like to add one word in
18 there. "The AMS operator shall then have the
19 ability." Does that make sense to you, in stating it
20 in that manner, "... shall then have the ability and
21 authority"?

22 DR. WEEKS: The warning signal now is given
23 at the regulator location, and I guess we should
24 assume that when the signal that goes to the AMS
25 operator hits the alert or alarm level, that's what

1 goes up there. So there is no need to have a special
2 alarm go to the -- yes, okay. I was thinking out
3 loud.

4 MR. MUCHO: One point that sort of aligns it
5 with 75.352(c), in terms of the reaction to an alert
6 level or alarm level, say, parallels that also. So
7 it's easier to train the AMS.

8 DR. MUTMANSKY: How are people feeling? Are
9 we at a comfortable point now where our wording is in
10 good shape, and the point-feeding recommendation is
11 feeling considerable in your own minds? I think
12 that's a good point to ask this type of a question.

13 Tom, you and Jürgen have pointed out some
14 very important issues, and are we now satisfying those
15 issues?

16 MR. MUCHO: Yes.

17 DR. BRUNE: Yes.

18 DR. MUTMANSKY: Felipe?

19 DR. CALIZAYA: Yes.

20 DR. MUTMANSKY: Jim, you're okay?

21 DR. WEEKS: Yes.

22 DR. MUTMANSKY: And Jerry?

23 DR. TIEN: That's very good. You have said
24 all of the things that need to be said.

25 DR. MUTMANSKY: In that case, let's vote on

1 this recommendation. Tom, you're first.

2 MR. MUCHO: Yes.

3 DR. MUTMANSKY: Jürgen?

4 DR. BRUNE: Yes.

5 DR. MUTMANSKY: Jerry?

6 DR. TIEN: Yes.

7 DR. MUTMANSKY: I vote yes.

8 DR. CALIZAYA: Yes.

9 DR. WEEKS: Yes.

10 DR. MUTMANSKY: A unanimous vote for this
11 point-feeding recommendation.

12 We have three more recommendations. It
13 would seem as though, at this point in time, we should
14 probably take lunch and address all three of the
15 recommendations that remain after lunch.

16 I do know that we still have some things to
17 bring into the research recommendation. We can
18 discuss those after lunch as well. So unless there is
19 an objection from somebody here, let's take a break
20 for lunch.

21 (Whereupon, at 12:09 p.m., a luncheon recess
22 was taken.)

23 //

24 //

25 //

1 In previous discussion this morning, there
2 were additional concepts that were recommended to be
3 covered under "Research" rather than under any
4 specific changes in current policy.

5 So, in this particular case, we might want
6 to add a concept to our research list here, and that
7 concept would be to utilize auxiliary fans underground
8 to better control pressures in our entries and to
9 reduce leakage and so forth, but, again, that's a
10 concept that is not being currently utilized, and
11 booster fans or booster auxiliary or booster fan
12 systems are not currently allowed in the United
13 States. It would take some considerable amount of,
14 what I would say, research before we could ever
15 implement such a system.

16 Now, I put this list together, so I'll have
17 to defend the list, but, in many cases, I was just
18 musing through ideas of ways in which we could expand
19 our possibilities.

20 If you look at the research listing here,
21 there are four listed here using two intake airstreams
22 totally separated from intake to the working section.
23 That's not much of a new idea; the concept is already
24 implemented in some cases.

25 Implementing secondary escapeways in return

1 entries is another possible idea, and using belt
2 conveyors and return entries is another idea. Now, I
3 understand from people that these ideas are used in
4 some mines, but they are not widely used, which
5 perhaps makes sense under certain conditions and not
6 under others. Then using tertiary escapeways. If we
7 add the other suggestion here, it would be the use of
8 booster fans in underground mining operations.

9 No matter how you feel about these, there
10 are advantages and disadvantages, and this is why
11 research needs to be done. If you're going to use
12 these systems, it's important to scope out what
13 problems exist with the systems, what the advantages
14 and disadvantages are, and you have to move forward
15 very carefully before you could implement any such
16 system.

17 So, in this particular case, it is necessary
18 for us to consider the possibilities here, and, based
19 upon this, maybe come up with a recommendation for
20 MSHA to take a look at some of these systems.

21 Now, as we implement our thinking here, I
22 think it's important for people to react to it. I'm
23 certain some of you may have questions in your mind,
24 and this where we are now. What specifically do you
25 feel about this kind of a recommendation? Is this

1 recommendation within the purview of our charge, and
2 is it appropriate for us, at this point in time, to
3 recommend research possibilities for MSHA to follow up
4 on? Questions?

5 MR. MUCHO: One I have, Jan, is the way that
6 reads, first of all, five listing applies to trying to
7 find an alternative to point-feeding ventilation air.
8 Is that correct?

9 DR. MUTMANSKY: Well, that was the primary
10 motive for doing this, yes.

11 MR. MUCHO: I'm not sure about that because
12 it's a ventilation science fact that when we have an
13 entry, especially an entry with high resistance, such
14 as belt conveyer entries are, when we're talking our
15 larger mines, there is a limitation, in terms of
16 distance that we can go before the air would be below
17 the minimums we talked about this morning. In
18 addition, the other factor is how many times we split
19 that, and where those splits are at.

20 So there is a physical limitation to how
21 much air we can bring in a single entry over some
22 distance, unless we start putting shafts into the belt
23 entry or something like that.

24 So some of these points, it just doesn't
25 seem like it directly applies to that issue of point-

1 feeding. First of all, the point-feed, the issues we
2 talked about this morning with the regulator and the
3 gyrations we're going through to provide that in a
4 safe manner, certainly is something we wish we didn't
5 have to do, but I think it's a physical fact.

6 DR. MUTMANSKY: Okay.

7 MR. MUCHO: So I'm not sure what we're
8 saying about that. Some of those things seem to apply
9 more to escape and some other things.

10 DR. MUTMANSKY: It is true. I think your
11 point is very clear, that there is a lot there that
12 doesn't necessarily pertain directly to point-feeding,
13 and maybe the whole research recommendation needs to
14 be changed to reflect that.

15 Other thoughts about research? Jürgen?

16 DR. BRUNE: Yes. I have a comment about the
17 number two, "Implementing secondary escapeways in
18 return entries where belt air is used at the face."
19 If we do use belt air at the face, and the assumption
20 is that a fire breaks out on the belt, then within the
21 next 10 or 15 or 20 minutes, depending on distance,
22 the return would be engulfed with smoke because the
23 smoke will eventually collect on the return air.

24 So I'm not sure if that's a reasonable
25 expectation at all for the escaping crew to find a

1 clear return to escape. The other thing is,
2 typically, those guys, when they encounter smoke on
3 the intake, they will invariably test to see if the
4 return is clear, and perhaps it's still clear at the
5 point where they entered the return and find the entry
6 that is best suited for their escape.

7 So I'm not sure if that's a subject that we
8 would need to expend much research on other than
9 running a few models and then finding out what the
10 possibilities are. But in most cases, I would say, if
11 you run belt down the face, and then you have smoke in
12 the belt, 10 or 15 minutes later you have smoke in the
13 return.

14 DR. MUTMANSKY: Right. Good point. I
15 agree. Jim?

16 DR. WEEKS: Well, it's a question about this
17 is a recommendation to MSHA. MSHA is not really a
18 research organization. They are not equipped to do
19 this kind of research. I think it's more a
20 recommendation to NIOSH.

21 DR. MUTMANSKY: It doesn't say MSHA has to
22 do the research.

23 DR. WEEKS: Somebody said "MSHA" a minute
24 ago.

25 DR. BRUNE: I think the Technical Panel has

1 been instituted by Congress to MSHA governing it, so
2 what we could do is make a recommendation to MSHA that
3 MSHA initiate such research with whoever they feel is
4 the appropriate research agency.

5 DR. MUTMANSKY: Sure.

6 DR. BRUNE: I think we need to point that
7 out. Fundamentally, I agree, like in response to your
8 earlier comment, that it is well suited for us, as a
9 panel, to make recommendations in areas where research
10 is felt necessary. So we'll just let that
11 recommendation stand and let MSHA determine who would
12 be the suitable party to conduct that research.

13 MR. MUCHO: Just on the mechanics, I thought
14 our report goes to both the MSHA side and the NIOSH
15 side having to apply to both secretaries or assistant
16 secretaries. I'm not sure how it went. Then I think
17 only MSHA has to respond to Congress as to how they
18 are going to deal with our recommendations. I thought
19 that's the way it went. But, at any rate, the point
20 being, it goes to both organizations and to Congress.

21 DR. MUTMANSKY: One other thing I might
22 mention is, in some ways, some of the language is too
23 specific in here. We should probably open up the
24 thinking process. For example, implementing secondary
25 escapeways and return entries when belt air is used at

1 the face. Maybe we should be saying "implementing
2 secondary escapeways in the tail-gate when belt air is
3 used at the face" because a tail-gate could actually
4 be on intake air in some systems, and that would make
5 a very good escapeway in some types of mine fires
6 involving belt conveyors or even other types of fires.

7 It would make more sense to just simply open
8 it up to any concept that might be an improvement over
9 trying to accommodate the smoke that comes off of a
10 fire located in the belt entry or even in the primary
11 intake, in that case.

12 MR. MUCHO: Part of the problem I have is I
13 don't understand totally the research aspect. Most of
14 those things up there can and are being done and have
15 been done. Running an escapeway on the tail gate of a
16 longwall; we did it in the mid-eighties. It's done
17 today. So I'm not sure --

18 DR. MUTMANSKY: Well, tell me which are
19 unsafer, Tom, and we won't have to do this research.

20 MR. MUCHO: The reason we did it is we felt
21 that was safer, to have two ways up -- the head-gate
22 or the tail-gate --

23 DR. MUTMANSKY: Okay.

24 MR. MUCHO: -- on intake air. So I don't
25 understand the research aspect. Can it be done? Yes.

1 May it be better to do it? That's a decision based
2 on a lot of things.

3 What research do I need to do? Jürgen
4 mentioned running some models in some cases, and
5 perhaps that could be done.

6 DR. MUTMANSKY: Running models is one
7 possibility. Doing risk analysis is another
8 possibility. Some sort of analysis that relates the
9 hazards to the practices that we're proposing here.
10 The practices here are, in some cases, well
11 understood. I think the risks are not necessarily
12 well understood.

13 MR. MUCHO: I would agree with that.
14 Putting those two kind of things together and looking
15 at various systems and doing risk analysis on them is
16 something that I would say would be beneficial to do.

17 DR. MUTMANSKY: Okay. Jerry and Felipe,
18 you've said nothing about this. You just kind of
19 echoed yes when I proposed this. Maybe you're not in
20 favor. I would like to see how you really feel.

21 DR. TIEN: Well, obviously, we're on the
22 same subcommittee, so I had a chance to look at this
23 before today. I cannot quite remember. Did we have
24 number five, a booster fan, in there before?

25 DR. MUTMANSKY: No. We did not have that in

1 the original. In the original construct of the
2 recommendation, that was not in there.

3 DR. TIEN: Right. Obviously, we probably
4 should not restrict ourselves to the point-feeding, so
5 you want to combine the two sentences to reword it.

6 So the technical committee suggests that
7 following research be done, or something like that, to
8 that effect, because a lot of them are not necessarily
9 point-feeding specific.

10 DR. MUTMANSKY: Okay. Leave the word "that"
11 in, and we'll leave one of the words "that" in.
12 "Recommends that research should be performed."

13 DR. TIEN: Now, number two: In that
14 particular situation where everybody is happy with the
15 work face in the working station; that's a longwall.

16 DR. BRUNE: There, the face is small.

17 DR. TIEN: Is "face" okay?

18 DR. BRUNE: I think "working section" should
19 be the same one because we've got to be consistent.

20 DR. MUTMANSKY: Sure. I agree. I agree.

21 DR. TIEN: So we'll change that to the
22 working section.

23 DR. MUTMANSKY: No problem.

24 DR. BRUNE: I think the first three points,
25 research ideas -- actually the first four, we may be

1 able to combine them into saying something to the
2 extent that research should be conducted in finding
3 better alternatives to escapeway design and escapeway
4 routing in general, depending on certain mining
5 situations, whether we add escapeways or whether we
6 use the return as escapeways or whether we use the
7 tail-gate on intake as an escapeway; those are all
8 alternatives that are being practiced in certain
9 situations, but we may want to steer the research in
10 giving the mine operators and MSHA, as they evaluate
11 mine ventilation plans, some guidance into what's
12 really best.

13 What's the best way to do this? I'm not
14 sure if we can find wording for that, but I think that
15 may be a smart way to combine those four and say,
16 let's figure out what the best escapeway scenario is
17 that gives the crews at the face, in every situation,
18 the best opportunity to escape fire.

19 DR. TIEN: Maybe something after the
20 Technical Panel recognizes some of the practices that
21 have already been going on for a while, but we're
22 interested in finding a better way to insert the risk
23 analysis somewhere over there and to better what's
24 already been done. Is that what you have in mind?

25 DR. MUTMANSKY: Well, we might want to say

1 that research utilizing ventilation simulation and
2 risk analysis.

3 MR. MUCHO: You're modeling various
4 potential scenarios, ventilation scenarios, and then
5 you will want a risk analysis based on those various
6 scenarios and see what that tells you. I think that
7 would be beneficial.

8 DR. MUTMANSKY: Okay. You feel it would be
9 a better explanation of the desires. Is that what
10 you're saying?

11 MR. MUCHO: Yes. I think a lot of cases in
12 the mining industry, people weren't understanding the
13 implications of a system and what the impacts may be.
14 If a fire occurs, a fire occurs there, a fire is over
15 here, what does that mean with a given ventilation
16 system?

17 DR. TIEN: Tom, along that line, shouldn't
18 we also keep the first three words? Should we do that
19 for the existing mines as well?

20 MR. MUCHO: I would hope that we would
21 implement the results of the research as fast as
22 possible. It showed us some really meaningful things,
23 I would hope we would get it in practice.

24 DR. BRUNE: I also think that the general
25 exercise of ventilation modeling would help mine

1 operators understand better what happens in case of a
2 fire, and there's a number of good modeling programs
3 on the market now that are, in my opinion, somewhat
4 underutilized in the U.S. mining industry in terms of
5 modeling the what ifs. What happens if I have a fire
6 here? I can run this model, and I can see exactly
7 where the smoke travel. I can see how long it's going
8 to take the smoke to travel from here to there and how
9 long a particular crew has to escape, and how long a
10 certain entry stay clear.

11 I can see those things in a very convincing
12 way. That's not only good as an exercise to
13 understand alternatives of escapeways, but it also is
14 an exercise that would help in training crews and
15 training rescue teams in mine management in guiding an
16 escape.

17 DR. MUTMANSKY: Are you referring to using
18 MFIRE, for example?

19 DR. BRUNE: Well, MFIRE is an old one that
20 refers to the Bureau of Mines Code, but there are a
21 number of others. I believe the program out of
22 California, Fresno, VNET-PC, has a version of MFIRE
23 implemented that indicates smoke travel, and then the
24 Polish, together with the Australians, have a model
25 that is even more sophisticated in terms of fire

1 modeling and fire gas modeling.

2 So there's a number of those on the market,
3 and with today's computing horsepower, that should be
4 a fairly compact research assignment that you can give
5 to universities, or even to NIOSH, to undertake.

6 DR. TIEN: I totally agree. Along that
7 line, should we drop the word "should," the second
8 line?

9 DR. MUTMANSKY: You're recommending taking
10 out the word "should"?

11 DR. TIEN: Yes.

12 DR. MUTMANSKY: I think that's okay. It
13 reads perfectly well without it. Anybody agree or
14 disagree?

15 DR. TIEN: Yes. I agree with that.

16 DR. MUTMANSKY: I agree. Take it out.
17 Okay. Try taking it out.

18 DR. WEEKS: It's somewhat redundant. It's
19 implied in "recommend."

20 DR. MUTMANSKY: I have a question. In what
21 situations are tail-gates or return airways normally
22 used as an escapeway, and what specific ones are you
23 aware of? You've mentioned that they are being used.

24 DR. BRUNE: That, in my opinion, depends on
25 how well the tail-gate stays open in-by the face

1 towards the bleeders. If you can afford to send
2 intake air up and not diminish the quantity that comes
3 off the face, because you have to take the intake air
4 that you send up the tailgate plus the face quantity.
5 You have to send all of that out through the tailgate
6 into the bleeders, and if you have those bleeder
7 entries open enough that allows you to get that
8 quantity through, then I think every prudent mine
9 operator will put the tail-gate on intake.

10 In other cases, where the tail-gate caves
11 too tightly, and you cannot get enough quantity to the
12 face, then you may have to connect the tail-gate up to
13 the main return.

14 MR. MUCHO: It can be impacted by return
15 ventilation, your bleeder ventilation, and then
16 there's a lot of different cases, as Jürgen pointed
17 out, in terms of resistances due to conditions.

18 DR. MUTMANSKY: These would normally be
19 three-entry tail gates. Is that the traditional place
20 where you would use these?

21 MR. MUCHO: Right.

22 DR. BRUNE: If you have four entries,
23 typically, you have even more of an opportunity to
24 send more air up the tail-gate because then likely two
25 of those four entries may stay open enough to send air

1 through.

2 MR. MUCHO: And there may be other
3 advantages and reasons you would do that, in addition
4 to escape reasons, the pressure you want to put on a
5 tail gate through that kind of a system versus
6 traditional U ventilation and so on.

7 DR. BRUNE: Plus you also do not get rock
8 dust off the face that goes into the tail-gate in by.
9 So if you can send all of that float dust into the
10 bleeders, that's the better place for it to go.

11 DR. MUTMANSKY: Now, Jürgen had originally
12 proposed that we fold Alternatives 1 through 4 into a
13 more general nature of some sort. What is the feeling
14 of the panel about that proposal?

15 MR. MUCHO: What does that accomplish?

16 DR. BRUNE: Perhaps rather than giving very
17 specific points here that we could probably have in
18 the discussion, I would suggest that we say that the
19 research evaluate alternative escapeway designs and
20 guidelines for such escapeway design based on modeling
21 and perhaps risk analysis rather than specifying
22 certain conditions that should be researched that we
23 could better put into the discussion area. We'll
24 leave it open and open it to a wider variety of
25 research alternatives.

1 DR. MUTMANSKY: That's a possibility. I see
2 your argument. We're being specific when we didn't
3 necessarily have to be specific.

4 One thing we can do is we can say we should
5 investigate alternative methods or routing escapeways,
6 and then we could say, "Some possibilities that may be
7 of value are."

8 Now, we could also put that same wording
9 into the discussion section as opposed to in the
10 recommendation.

11 So we still have several possibilities, and
12 I think we want to decide as to how the panel, as a
13 whole, reacts to Jürgen's proposal. Do we want to
14 move some of this material into the discussion points,
15 or into the discussion section, and make our
16 recommendation more compact?

17 MR. MUCHO: I think so.

18 DR. MUTMANSKY: You think so. Tom thinks
19 so. Jerry likes that.

20 DR. CALIZAYA: I like that. Can I add a few
21 more things?

22 DR. MUTMANSKY: Yes. Felipe, go ahead.

23 DR. CALIZAYA: I think the first four points
24 can go into the discussion section and can come up
25 with one general research area that would include

1 topics of risk analysis, fire simulation, ventilation
2 studies for specific cases of that kind. That will
3 be, I think, one solid recommendation.

4 Then, yes, booster fan is one issue, and I
5 had one more area of research, and that has to do with
6 the quality of stoppings in sealing materials. I
7 think that's really a research area. We talked about
8 different types of stoppings this morning. Some of
9 them are expensive, are real expensive, and what we
10 need is to come up with products that can be applied
11 in the industry.

12 DR. WEEKS: I don't particularly like this.

13 MR. MUCHO: Just to jump back, though,
14 booster fans does not fall under that first sentence.
15 "Booster fans" is a broad topic. It's the second
16 point not by itself or something.

17 DR. MUTMANSKY: You're right, Tom. Booster
18 fans is a somewhat different topic than the other
19 four. As you probably realize, MSHA has been against
20 booster fans since Day One, and there are many people
21 in the industry and many ventilation consultants who
22 are saying we need to look at it. We need to look at
23 booster fans as a new possibility. So it's a
24 different type of topic altogether in many ways.

25 DR. WEEKS: What's accomplished by putting

1 this into the discussion section as opposed to leaving
2 it here? I'm afraid of having a recommendation that
3 is so general as to be kind of meaningless. If we
4 have recommendations about research, we ought to say
5 what they are, and then you could fill them out in the
6 discussion section. What would you replace this with
7 when you put all of this in the discussion?

8 MR. MUCHO: I think it's still pretty
9 specific, Jim. You're saying, I want you to use
10 ventilation modeling and risk analysis to look at
11 alternative escapeway schemes in different ventilation
12 scenarios.

13 DR. WEEKS: That would be the
14 recommendation, just like that.

15 MR. MUCHO: Yes. That, in essence, is those
16 four and anything else anybody can think of.

17 DR. WEEKS: Well, I'm not going to have a
18 heart attack over that, so it's fine.

19 DR. BRUNE: My point for combining them into
20 a more general way was to not tie the research to
21 those four specific points because if we make those
22 four specific points for the research, we may limit
23 the alternatives that the researcher has. If we say,
24 and this would be my wording, suggestion, development
25 of guidelines for improved escapeway design in

1 different ventilation scenarios, then we leave it open
2 to the researcher, and, ultimately, the goal is to
3 come up with an improved escapeway design.

4 MR. MUCHO: By covering it in the discussion
5 session, we give -- we've thought about to provide
6 some guidance.

7 DR. WEEKS: They have got a lot of latitude
8 anyway because these are only recommendations, and
9 we're not telling people what to do. We're just
10 giving recommendations. That's fine.

11 DR. MUTMANSKY: Okay. Jerry, do you want to
12 say something?

13 DR. TIEN: Yes. I'm just curious. Felipe,
14 you're talking about the research of the stoppings and
15 the sealants. That area has been going on since Don
16 Mitchell times or even older, earlier. What are some
17 of the new things that have not been done, other than
18 the cost factor, that we should address or point our
19 emphasis to. I'm just curious. Do you have anything
20 in mind?

21 DR. CALIZAYA: The two points that I
22 mentioned this morning were about, first, the durable
23 stopping, and durable stoppings, I think you
24 mentioned, the stoppings are good for six months, and
25 after six months, they are not good anymore.

1 Now, Omega stoppings are used in the
2 industry. If you're going to have one section that's
3 open for six months or in that order, then maybe it's
4 okay to use those. But when we install stoppings of
5 this kind in the main entries, where we have high
6 pressures and so on, then they are not good.

7 Now, when I'm talking about stoppings in
8 general, we are talking about materials. We can build
9 one air-tight stopping, but that's very expensive. I
10 remember building stoppings, and those were \$200,000.
11 If we are going to live with this, then mining is not
12 going to be competitive anymore.

13 So we need to come up with what Bill Kennedy
14 had in mind about these near-zero leakage stoppings.
15 I don't think those are used extensively. Right? I
16 think they are double stoppings, double metal
17 stoppings, and you have some kind of form in between,
18 but they are durable, and they are also yielding-type
19 stockings, but it's not used extensively in the
20 industry.

21 DR. TIEN: Because of cost.

22 DR. MUTMANSKY: Felipe, you had also
23 introduced the word "seals" into your thinking there,
24 and one of the things I would mention is that, in the
25 last year or so, NIOSH has been very intensively

1 looking at seal designs and seal construction
2 procedures, and they have done a lot of work in that
3 general area. I don't know that there is much need to
4 suggest research work on seals because there has
5 already been a lot done, and I'm certain they are
6 looking very seriously at all aspects of seal design
7 at this point in time.

8 On the problem of stoppings, it's fairly
9 clear to me what the basic problems are. The problems
10 are that we have new materials that come into play
11 quite often. The same old problems generally exist;
12 that is, you put a stopping in, and it has a certain
13 integrity and a resistance to leakage, and, within a
14 few years, of course, that deteriorates, and that's
15 probably one of the biggest problems, deterioration of
16 the stoppings.

17 It's really hard to, I think, see a lot of
18 results of research here, in part because things
19 change from year to year with new products and new
20 procedures, but I think it still is important to keep
21 researching stoppings. I wish there was more research
22 done in stoppings, but I'm not so certain it's an easy
23 thing to research and find long-term results. It may
24 be quite difficult.

25 In any case, I think we have to move now.

1 We've had a lot of thoughts, we've brought them out on
2 the table, and now we have to make a move, and I would
3 like somebody to propose how to restructure this
4 recommendation in a manner that would be acceptable to
5 everybody. Anybody want to take a stab at it?

6 DR. BRUNE: Should I dictate to Bill what I
7 had in mind earlier so he can put it on the --

8 DR. MUTMANSKY: Yes, sir, you may.

9 DR. BRUNE: That would be point one,
10 "Development of guidelines for improved escapeway
11 design in various ventilation situations," and I'm not
12 sure if the first sentence, last word, "alternatives,"
13 is still correct. I would propose to make that
14 "research" or "following areas" because we have the
15 word "research" already.

16 DR. TIEN: Essentially, you only have one.
17 Right? You're going to move the booster fan out of
18 that --

19 DR. BRUNE: No. The booster fan is still
20 the second recommendation.

21 DR. TIEN: Okay. Risk analysis. Okay.

22 DR. MUTMANSKY: But he is changing the
23 wording, Jerry, to help accommodate that by saying,
24 "To investigate the following research areas," and
25 then he is using number one is development of

1 escapeway procedures, and number two is use of booster
2 fans.

3 MR. MUCHO: Again, we're saying "ventilation
4 modeling and risk analysis," and "booster fans" is not
5 limited to that.

6 DR. MUTMANSKY: You can certainly model
7 that, and you could also model it with --

8 MR. MUCHO: You could model it, but we don't
9 want to limit it to that. You want to investigate
10 booster fan in totality, things like how they are
11 powered, how they are protected from explosions. When
12 you look at booster fans, you want to look at the
13 whole animal.

14 DR. MUTMANSKY: That's a good point.

15 DR. BRUNE: But doesn't the risk analysis --
16 you could also say "ventilation modeling and
17 engineering design and risk analysis." You could add
18 that to it.

19 DR. MUTMANSKY: Yes.

20 DR. BRUNE: Would that help it?

21 DR. MUTMANSKY: Yes. I think it would help.
22 That would help. Make it a little bit more general,
23 and it would apply better to use of booster fans.

24 DR. BRUNE: I don't know, Felipe. You seem
25 to be very adamant about reducing and controlling the

1 leakage. I think that's the fundamental idea behind
2 the better stopping concept. Maybe that could also be
3 a point, and that could be achieved with additional
4 resource as ways to reduce leakage in stoppings.

5 DR. MUTMANSKY: I don't see anything wrong
6 with saying that.

7 DR. BRUNE: Throwing it out for discussion.

8 DR. MUTMANSKY: Yes.

9 DR. BRUNE: The fundamental idea is that
10 reducing leakage limits the possibility for smoke to
11 travel into areas that it's not supposed to travel in,
12 and it also improves the efficiency of the ventilation
13 system.

14 DR. WEEKS: Well, leakage occurs in other
15 ways than through stoppings. Just put "ways to reduce
16 leakage."

17 DR. BRUNE: Yes, leakage, period, yes. It's
18 stoppings or overcasts.

19 DR. MUTMANSKY: Overcasts and stoppings
20 would be the two primary ones.

21 DR. BRUNE: Ventilation controls.

22 DR. TIEN: Reduce or minimize? Which one is
23 better?

24 DR. BRUNE: Reduce.

25 DR. MUTMANSKY: Okay. Are we getting to the

1 point where the wording is acceptable to most people
2 here?

3 The third paragraph doesn't apply as well.
4 The final paragraph; it doesn't apply quite as well,
5 but because we're no longer comparing the four primary
6 ones --

7 DR. TIEN: I would say strike it.

8 DR. MUTMANSKY: Strike the whole thing out?

9 Okay. Now do we have enough in the recommendation
10 that it's clear and straightforward in terms of its
11 meaning? I think we'll have to write a good
12 discussion section here, and since this was my area,
13 I'll try to accomplish that, and, hopefully, we'll be
14 able to discuss it in tomorrow's meeting. We'll try
15 to do as much as we can in tomorrow's meeting.

16 Okay. Let's read it through one time and
17 try to get the words.

18 DR. CALIZAYA: Before you read, can we
19 clarify that Point 2 where it talks about booster
20 fans? It's a broad area. It really needs to be
21 narrowed down a little bit.

22 First of all, we don't have a design, so we
23 need to come up with a design, and "design" means the
24 types of things that could be useful for these types
25 of operations. Here, I want to stress this one, "use

1 of booster fans." It's really kind of an alternative
2 to belt air because we are pressurizing the air at the
3 place where we need it, and we are reducing leakage
4 when we have all of the controls in place.

5 So we need to talk about design there, talk
6 about monitoring and control and safety issues.
7 Redundancy. I don't know if that one has to do, but
8 we need to have interlocks, electrical interlocks, so
9 that we can stop, just like we were talking about
10 point-feed this morning.

11 MR. MUCHO: I think those areas all belong
12 in the discussions section, but we do need to add
13 underground coal-mining operations because they are
14 used in metal mining, of course.

15 DR. MUTMANSKY: Yes, they are.

16 DR. BRUNE: Also, they are used in other
17 countries. In the European coal mines, they are using
18 booster fans today. So there are certain engineering
19 design solutions. I'm not sure how they are
20 applicable.

21 The wording is "use of booster fans," and up
22 there we are saying "ventilation modeling, engineering
23 design, risk analysis." We are covering the essential
24 elements that require. Therefore, if I want to use a
25 booster fan, I need to think about these things, and I

1 need to have a sound engineering design, and,
2 obviously, it has to pass muster with MSHA and with
3 other parties that are concerned with the safety of
4 the miners.

5 DR. MUTMANSKY: Are you okay with that,
6 Felipe?

7 All right. The wording is getting to be
8 pretty well thought out now. The Technical Study
9 Panel recommends -- yes, Jerry?

10 DR. TIEN: While we're at it, can I also
11 throw something on the table for the panel to
12 consider, and that is controlled recirculation?

13 DR. MUTMANSKY: Controlled circulation.

14 DR. TIEN: The use of booster fans in a lot
15 of cases.

16 DR. MUTMANSKY: We seem to be rising out of
17 the graveyard here concepts that MSHA has always
18 opposed. That doesn't mean that they can't be
19 utilized in the future. Controlled recirculation is a
20 concept --

21 DR. TIEN: -- and a practice overseas.

22 DR. MUTMANSKY: -- and was a practice in
23 mines at times. It's a practice in other parts of the
24 world, even in coal mines. Controlled recirculation
25 is a concept that has interesting advantages and

1 disadvantages. I'm not opposed to that, Jerry, at
2 all.

3 I think the truth of the matter is that MSHA
4 themselves may not be favorable to this type of thing,
5 but if it's valuable to do research on this, I think
6 it's perfectly okay to ask for that research.

7 DR. BRUNE: The difficulty will be to
8 actually do the research *in-situ* and not in a model.
9 I'm somewhat opposed to the topic of controlled
10 recirculation because we already have difficulty right
11 now to assess the dust load and the conditions under
12 which we control our dust to the established
13 standards, and if we get into controlled recirculation
14 where we are not even sure about how we properly
15 analyze the ventilation patterns in the mines -- I'm
16 not comfortable with going there quite yet. It's
17 primarily a personal opinion here, but I'm not very
18 comfortable going near that right now.

19 MR. MUCHO: Nor am I. The situation I see
20 is different with booster fans. I think there have
21 been a lot of technological developments and changes,
22 things such as monitoring and control and so forth
23 that merits taking another look at booster fans and
24 how we can use them safely, and some of the advantages
25 that Felipe was pointing out, in terms of things like

1 ventilation situations and using belt air leakage,
2 definitely has some advantages if it can be done
3 safely, obviously safer than what we have today.

4 So I think there's good reasons for booster
5 fans, but controlled recirculation; I don't see that
6 in the same light.

7 DR. WEEKS: I'm not sure exactly what it is
8 that you're talking about, but, in other settings, it
9 would be -- instead of returning the air to the
10 return, it gets recirculated around, and it's a way of
11 conserving air.

12 DR. TIEN: Not only that. The return air,
13 or contaminant air, is going through a filter system,
14 so the reintroduced air to the face or working section
15 area is not going to be totally dusty. It is very,
16 very clean, to some degree.

17 In some cases, of course, it doesn't apply
18 in the U.S. Actually, you can lower the heat, the
19 temperature, because the refrigeration system
20 sometimes can also be added in the circuit. So those
21 are the advantages.

22 DR. WEEKS: What about gas control?

23 DR. MUTMANSKY: There is no effect on gas
24 control. It does not increase the gas. It does not
25 increase the dust, and you can actually improve some

1 dust characteristics by putting in, as Jerry says,
2 filter systems, but there are some serious problems
3 with it, and one is you have to use a recirculation
4 cross-cut, and that's not easy to implement in all
5 systems.

6 Number two: If there is a fire in the area
7 of the recirculation cross-cut, you absolutely have to
8 have some sort of automated system to shut down the
9 recirculation and establish the normal unrecirculated
10 ventilation. So there are serious problems with it;
11 however, it has been used.

12 It has been used to great advantage in metal
13 mines. It's been used in some of the undersea coal
14 mines. It's been used in other areas in other parts
15 of the world, but it has always been off limits to
16 mine operators in the United States.

17 DR. TIEN: Jim, for the sake of discussion,
18 maybe it's not applicable here in our situation in the
19 U.S. where Jan was talking about application in North
20 Sea where it's almost impossible to drill air shafts
21 in North Sea. So we just reused the air. Instead of
22 bringing air all the way, many miles away, and to come
23 back, and all went to the surface. So reused air,
24 after they have been cleaned up over and over again.

25 DR. WEEKS: We don't have any mines in the

1 North Sea.

2 DR. TIEN: Obviously. Not yet.

3 DR. WEEKS: Not yet. What's the advantage?
4 What do you gain by it?

5 DR. TIEN: Power savings.

6 DR. BRUNE: It's really not a safety -- what
7 are we making safe by recirculating air? I don't see
8 that.

9 DR. MUTMANSKY: I understand. I agree with
10 that. There is no safety advantage.

11 DR. BRUNE: Besides, my fundamental concern
12 is that we have enough trouble controlling all
13 ventilation systems now, and adding recirculation to
14 it adds, I would say, an exponential amount of
15 complication, complexity of the ventilation system and
16 may render it unmanageable.

17 DR. MUTMANSKY: I understand.

18 DR. BRUNE: Ask me again in 10 years, and
19 we'll talk about it.

20 DR. MUTMANSKY: That is a good reason not to
21 include it here.

22 DR. TIEN: We do not need another hole in
23 our heads.

24 DR. MUTMANSKY: It's pretty difficult to
25 justify on the basis of safety, and, therefore, it may

1 be better that we dispense with that one and just go
2 with the three ways.

3 DR. TIEN: I agree.

4 DR. MUTMANSKY: Okay. Should I read this,
5 and we'll get final wording here? "Research. The
6 Technical Study Panel recommends that research
7 utilizing ventilation modeling, engineering design,
8 and risk analysis be performed to investigate the
9 following areas: development of guidelines for
10 improved escapeway design in various ventilation
11 situations; use of booster fans in underground coal
12 mining operations; and, three, ways to reduce air
13 leakage through ventilation controls.

14 Now, do we want to eliminate those three
15 caps, one, two, and three, there? Is it better?
16 Jerry?

17 DR. TIEN: For the sake of flow reading and
18 the weight of it, may I suggest to switch two and
19 three?

20 DR. MUTMANSKY: What was that, Jerry?

21 DR. TIEN: Switch the two and the three.

22 DR. MUTMANSKY: Switch two and three.

23 DR. TIEN: Because it looks like leakage is
24 more a part of the system, the first one.

25 DR. MUTMANSKY: Okay. You're saying one and

1 two are more closely related to each other, yes.

2 Okay. I don't see any problem with that? Does

3 anybody have any comments about that?

4 (No response.)

5 DR. MUTMANSKY: All right. Do we want to

6 read it one more time, or is it all pretty clear?

7 I think Tom is calling for a vote. Okay.

8 There is no football game on tonight, Tom.

9 MR. MUCHO: No. I know.

10 DR. MUTMANSKY: Okay. I think we're ready

11 for a vote now. I think we're all ready at this point

12 in time.

13 Okay. Tom, you vote first.

14 MR. MUCHO: Yes.

15 THE COURT: Jürgen?

16 DR. BRUNE: Yes.

17 THE COURT: Jerry?

18 DR. TIEN: Yes.

19 DR. MUTMANSKY: I vote yes.

20 DR. WEEKS: Yes.

21 DR. CALIZAYA: Yes.

22 DR. MUTMANSKY: Thank you. We have a

23 unanimous vote on that research recommendation, and

24 thank you for coming to that compromise.

25 I think we now want to take up the issue of

1 coal mine dust and the dust recommendation. This
2 particular dust recommendation came out of a concern
3 that Jim Weeks had expressed about remarks that he had
4 from a number of different people about the situation
5 in which people perceive that the dust coming off the
6 belt conveyor is contributing to the dust load on the
7 working face or in the working section, and so, in
8 this particular case, this recommendation was drawn up
9 based upon some of these concepts.

10 First of all, as you probably recognize, the
11 current regulations require that dust not exceed one
12 milligram per cubic meter. I think the statement is
13 200 feet before the tail of the belt, and, in our
14 particular case, with one milligram per cubic meter
15 coming off the belt, there is some possibility that
16 that may increase the dust concentration in the
17 working section.

18 However, basically, for all practical
19 purposes, many of the situations that you will have,
20 if the dust is kept to the regulated concentration of
21 one milligram per cubic meter, that will, in general,
22 not increase the dust at the working face area.

23 However, at the moment, I believe it's
24 basically true that district managers do have the
25 authority to force improvements in dust control on the

1 belt if the dust concentration does exceed the one-
2 milligram-per-cubic-meter average value.

3 Normally, this particular recommendation
4 would be a great concern if we could see that the dust
5 concentrations on the working section were being
6 worsened by the dust coming off of the belt.

7 I put this recommendation together primarily
8 because I was concerned about it, and I did a number
9 of different calculations, and basically all of my
10 conclusions came to the same general point, and that
11 is that unless the average concentration coming off
12 the tail of the belt was higher than the concentration
13 normally seen at the designated occupation on the
14 working section, there would be no worsening of the
15 dust concentration.

16 It is true that the dust coming off of the
17 belt contributes to the dust in the section, but it
18 also contributes to the amount of air flowing through
19 the section. By increasing the air flowing through
20 the section, you also reduce the dust at the working
21 section face.

22 Jim and I had communications with each other
23 concerning this issue, and I showed Jim some basic
24 calculations that utilize basic principles, and I
25 think those principles were shown in a paper that Bob

1 Haney produced a few years ago, and we used those
2 basic calculations to take a look at that situation.

3 So, in presenting this recommendation to
4 you, I would like to mention that I don't believe
5 there is a serious problem here. But the
6 recommendation was put together in case the panel
7 would like to show that they considered the dust
8 problem and wanted to make a recommendation that would
9 ensure that the dust problem did not contribute to the
10 dust load at the designated occupation in the working
11 section.

12 Now, I would like Jim to weigh in on this
13 because I think it's important, and I want to make
14 certain that his concerns were addressed on this
15 particular issue.

16 DR. WEEKS: I didn't realize you wanted me
17 to weigh in on it today.

18 Well, basically, I agree with what Jan just
19 said. By the way, before I forget it, I think the
20 title should be "Respirable Dust" instead of just
21 "Dust."

22 Whether or not belt air improves or not dust
23 concentration at the face depends almost entirely on
24 what you're comparing it to. Clearly, if it's a
25 question of air or no air from the belt entry, if the

1 dust concentration in the air in the belt entry is
2 lower than what's there already, there is going to be
3 a reduction at the face.

4 However, if one compares it to, either
5 really or hypothetically, air coming in an intake
6 entry that has a lower dust concentration than the
7 dust concentration in the belt entry, you'll have a
8 better control over dust at the face if you do it that
9 way.

10 Either way, if you go through -- I forgot
11 who gave the presentation in Pittsburgh did that
12 equation that basically showed what's the net effect
13 if you took a look at the amount of air and the amount
14 of dust in different mixes. Unless there are very
15 large differences, the net effect, one way or the
16 other, is really quite small in terms of the effect on
17 the dust concentration at the face.

18 So I think this recommendation; basically, I
19 support it the way it is.

20 DR. MUTMANSKY: One other thing I might
21 mention to you is that, in receiving comments from the
22 MSHA personnel, some of the comments that I have
23 received read like this: "The recommendation to allow
24 district managers to force improvements is already in
25 place." In other words, what they were basically

1 hinting at is we don't really need this
2 recommendation.

3 I also carefully considered the possibility
4 that I would recommend, or that we, as a panel, would
5 recommend -- we, as a panel, could recommend that the
6 concentration coming off the belt be lowered to some
7 other value than one milligram. That would pretty
8 much always ensure that dust would be lowered at the
9 working face area or in the working section. But I'm
10 not certain that's achievable, and, in particular,
11 when we're dealing with high air velocities on the
12 belt, it may be very difficult to ever achieve.

13 So, in this particular case, if we use this
14 as our recommendation, I don't think we're going to
15 see any improvement. I don't know whether we really
16 need to make this recommendation. It may be that we
17 can dispense with this and say, "We don't need this;
18 let's move forward."

19 DR. BRUNE: I would support the
20 recommendation just because we have a very powerful
21 statement in that last sentence, and I would recommend
22 that we change two words. "If the improvements are
23 not effective, the district manager shall have the
24 authority to revoke the authorization to use belt air
25 at the face."

1 I think it's already there in the law, but I
2 think, by making this statement, by making this
3 recommendation, we, as a panel, show our concern with
4 the dust issue, and we make clear that the district
5 manager has a responsibility here.

6 DR. MUTMANSKY: I like your recommendation.
7 I would also change the words from "shall have the
8 authority" to "shall use the authority."

9 DR. BRUNE: Well, I don't think we can force
10 him. I think that's a judgment call for the district
11 manager. But "shall have the authority" is very
12 clear. We're laying it in the hands of the district
13 manager to pay attention to what's happening.

14 MR. MUCHO: There are some other issues
15 there, picking up on what Jürgen has talked about,
16 like, we say district managers have the authority to
17 force improvement if the dust concentration exceeds --
18 what does that mean? If I take one sample, and it's
19 over one milligram, does that at all kick in?

20 Well, no. We know that there are some
21 details that need worked out as to how that would
22 happen, and the same for raising the concentration at
23 the working face.

24 So I think the more conditional "shall have
25 the authority" makes a little more sense than sounding

1 like it's a once-and-done deal, and the district
2 manager is revoking it and so on and so forth. People
3 have to work out details if they do this.

4 DR. MUTMANSKY: Right. Thanks for that,
5 Tom. Anybody else have thoughts here?

6 DR. WEEKS: Yes. Either in the
7 recommendation -- probably in the discussion section -
8 - I think it's important to invoke a section of the
9 Act or some language in the Act that, on this issue,
10 has systemically been avoided.

11 What that language is, it's in Section
12 303(b), and it reads as follows: "The Mine Act
13 requires MSHA to prescribe the minimum velocity and
14 quantity of air reaching each working face to
15 reduce --" this is the regulation that applies to
16 ventilation "-- shall prescribe the minimum velocity
17 and quantity of air reaching the working face to
18 reduce the level of respirable dust to the lowest
19 attainable level."

20 That's a requirement that's imposed upon the
21 development of ventilation policies. I've seen that
22 section of that kind of systematically ignored, and I
23 think it's kind of an oversight. Whether it's
24 deliberate or not, I don't know, but it's been
25 ignored, and I think we should refer to it, at least

1 in the discussion section of this recommendation.

2 DR. MUTMANSKY: Okay. No problem. One
3 other thing. I did notice that we're using "to use
4 belt air at the face." Again, we may want to change
5 the words to "to use belt air in the working section."
6 Okay?

7 So, Bill, if you could make those changes,
8 as long as everybody is in agreement.

9 DR. BRUNE: That's kind of interesting. Jim
10 just read from the law. The law says "working face."

11 DR. WEEKS: So it does.

12 DR. BRUNE: At least we're consistent in our
13 recommendations.

14 DR. MUTMANSKY: So what? Not be rude,
15 but --

16 DR. TIEN: Oh, sure, sure. Of course, you
17 are.

18 For this consistency, should we also look at
19 the first sentence, the last few words, "the belt
20 conveyor"? Do you mean entry? What is "belt
21 conveyor"?

22 DR. MUTMANSKY: To use belt entry
23 ventilation air.

24 DR. TIEN: No. The first sentence: "The
25 air is forced over the belt conveyor."

1 DR. BRUNE: Forced through the belt conveyor
2 into belt entry.

3 DR. TIEN: Which one is better? I don't
4 know. It should be "belt conveyor" or "belt conveyor
5 entry."

6 DR. MUTMANSKY: Okay. We can change it to
7 "through a belt conveyor entry." Is that what you
8 would like, Jerry? I think that's probably a better
9 wording, "through a belt conveyor entry."

10 DR. TIEN: And also the fourth line, it
11 says, "Improvement in the dust control on the belt,"
12 or do we mean something else, "or in the belt entry"?

13 DR. BRUNE: In the belt entry.

14 DR. MUTMANSKY: In the belt entry. Okay.
15 Maybe in the last sentence, you use "in the working
16 section." Would that be better?

17 DR. BRUNE: Yes. "In the working section."
18 Also, there is another one, "the working
19 face," the third line from the bottom.

20 DR. BRUNE: That's also in the working
21 section, yes.

22 DR. TIEN: No, not yet. The third line from
23 the bottom?

24 DR. BRUNE: That's also in the working
25 section, yes.

1 DR. TIEN: No, not yet. The third line from
2 the bottom, in the middle, "working face"?

3 DR. BRUNE: That's what I mean. That needs
4 to be the "working section."

5 DR. MUTMANSKY: Should we mention the
6 designated occupation at all?

7 DR. BRUNE: Designated area.

8 DR. MUTMANSKY: Designated area?

9 DR. WEEKS: Well, DO would be at the face.
10 This is a designated area.

11 DR. BRUNE: Yes.

12 DR. WEEKS: That's where the one milligram
13 applies.

14 DR. BRUNE: I think that's implied.

15 DR. WEEKS: Yes. The one milligram applies
16 to the designated area.

17 DR. BRUNE: That's applied.

18 DR. MUTMANSKY: All right. Should we say
19 "at the working section" or "in the working section"?
20 There are two of those there.

21 DR. BRUNE: "In" the working section.

22 DR. MUTMANSKY: "In." Okay. Down below,
23 the last one there.

24 Okay. How is the panel now feeling about
25 the expression of the recommendation? Let's read it

1 over. It's called "Respirable Dust."

2 DR. WEEKS: Before you start, I just want to
3 point out, there is an important thing that this
4 recommendation does not say. It does not say that
5 belt air will help reduce dust control at the face.
6 Sometimes it would; sometimes it wouldn't, and it
7 really depends on the circumstances on how it's used
8 and what the basis of comparison is.

9 So rather than get into a long discussion
10 about the ins and outs of that issue, I think the
11 recommendation avoids it altogether, which, I think,
12 is appropriate.

13 MR. MUCHO: Comment on the working section,
14 working face, I hate to be picking here, but,
15 technically, if I have, say, room and pillar section
16 and a belt section, the belt coming into it, and I'm
17 using belt air, in the area immediately inby feed or
18 breaker, I probably am raising the concentration and
19 the working section, but, overall, because of the
20 increased air and a mixing that will finally occur,
21 hopefully, it doesn't happen at the working face.

22 That's picky but --

23 DR. MUTMANSKY: You're right, Tom.

24 MR. MUCHO: And the same for the longwall
25 situation.

1 I'm not sure that that's not a case where we
2 want to use "working face" as opposed to "working
3 section." Really, we're talking about the designated
4 operator, the DO.

5 DR. WEEKS: Jerry, we appreciate the can of
6 worms that you opened up.

7 DR. MUTMANSKY: But he is right, Jim.

8 DR. WEEKS: Unfortunately, that's true.

9 DR. MUTMANSKY: But he is right. That is
10 unfortunate because you can't treat them quite exactly
11 the same.

12 We can fix that up, if you would like.

13 MR. MUCHO: It's not that big a deal. I'm
14 just pointing it out.

15 DR. TIEN: Let's propose to do that
16 Wednesday.

17 DR. MUTMANSKY: What's that?

18 DR. TIEN: Do that on Wednesday.

19 MR. MUCHO: No. We've got to do this now.

20 DR. MUTMANSKY: Do it as is. Okay. Is
21 everybody happy with the wording now? Should I read
22 it over?

23 DR. BRUNE: Please do, yes.

24 DR. MUTMANSKY: Just one more time. Let's
25 read it over one more time: "Respirable dust

1 concentrations in the air course through a belt
2 conveyor entry and used to ventilate working sections
3 should be as low as feasible and must not exceed the
4 current regulated concentration of 1.0 milligrams per
5 cubic meter. District managers should have the
6 authority to force improvements in dust control in the
7 belt entry if the dust concentration exceeds an eight-
8 hour TWA of 1.0 milligrams per cubic meter or is shown
9 to be raising the concentration in the working
10 section. If the improvements are not effective, the
11 district manager shall have the authority to revoke
12 the authorization to use belt air in the working
13 section."

14 DR. BRUNE: The first word in the fourth
15 line should be changed to "shall" to take the
16 conjunctive out of the language.

17 DR. MUTMANSKY: Okay. I think I'm okay with
18 that. Everybody else okay?

19 ALL: Yes.

20 DR. WEEKS: Yes, although I like it the way
21 it is. We probably should have, where it says "is
22 shown to be raising the concentration in the working
23 section," it probably should say "above the exposure
24 limit" because you could raise it from, you know, one
25 to 1.1, and that would be raising it, but I'm not sure

1 that makes a whole lot of difference in terms of the
2 health effects.

3 DR. BRUNE: I see what you're saying.

4 DR. WEEKS: Do you see what I'm saying?

5 DR. BRUNE: That's probably prudent.

6 MR. MUCHO: It's an interesting point.

7 DR. MUTMANSKY: I'm okay with that.

8 DR. BRUNE: Because if you have basically
9 clean air coming up the intake, and any dust in the
10 belt, it always will raise the concentration.

11 MR. MUCHO: It could be a situation that is
12 changing with time as to what situation --

13 DR. WEEKS: Now, just to point out one other
14 thing, if that is the case, then, technically, that's
15 a violation of the section of the Act that says you
16 should control it to the lowest attainable, whatever
17 the language is, lowest possible level. So, you know,
18 it's not a totally clean-cut issue. Do you see what
19 I'm saying?

20 DR. MUTMANSKY: Okay.

21 DR. BRUNE: But then again, we have
22 discussed the trade-offs between additional quantity
23 and additional gas dilution and potentially entraining
24 more dust. We've been around that block a couple of
25 times.

1 DR. MUTMANSKY: Okay. We've worked enough
2 on this. Are we ready to plunge into the vote? I'll
3 start, and I'll vote yes. Jim?

4 DR. WEEKS: Yes.

5 DR. CALIZAYA: Yes.

6 DR. MUTMANSKY: Tom?

7 MR. MUCHO: Yes.

8 DR. BRUNE: Yes.

9 DR. MUTMANSKY: Jerry?

10 DR. TIEN: Jerry is yes.

11 DR. MUTMANSKY: We vote unanimous for the
12 recommendation as currently stated, and we can go on
13 to our next recommendation here.

14 DR. BRUNE: Mr. Chairman, may I suggest a
15 quick break?

16 DR. MUTMANSKY: Would you like a break?

17 DR. BRUNE: I personally need one, yes.

18 DR. MUTMANSKY: Okay. We will have a five-
19 minute break or a 10-minute break?

20 DR. BRUNE: Five minutes is fine.

21 DR. MUTMANSKY: Five minutes.

22 (Whereupon, at 2:52 p.m., a short recess was
23 taken.)

24 DR. MUTMANSKY: Ladies and gentlemen, we
25 would like to get to our final two recommendations

1 here. So I would like to call the group to order, and
2 our first discussion will be on mine gases, and I
3 would like to take some time to discuss the
4 recommendation.

5 Basically, what we have in a situation where
6 we're coursing air through a belt conveyor entry and
7 carrying that air to a working section is the
8 potential for carrying methane gas or other mine gases
9 to the working section.

10 Now, in general, what we're going to be
11 worried about here is methane gas being carried to the
12 section, and, of course, it is necessary that the
13 methane be below one percent at the face or in the
14 working section.

15 So, basically, what we're interested in is
16 trying to find out how much of a problem this is. As
17 the person who put this together, I did some homework
18 by basically talking to a number of MSHA personnel,
19 and basically what I found was that most of the MSHA
20 personnel were saying to me, Well, we don't have a lot
21 of mines where this is a problem. There are not many
22 mines with significant amounts of methane in the belt
23 conveyor entry that then get carried to the working
24 face.

25 In my queries to the MSHA personnel, there

1 were a few people who did say, however, that they were
2 aware of certain conditions where gas content in the
3 belt entry was then being carried to the face. One
4 was Mark Eslinger, who is supervisory mining engineer
5 in District 8. He was mentioning the knowledge of one
6 mine where primarily a rib liberation of methane in
7 the belt conveyor entry was then carried into the
8 working section.

9 He also made mention of the fact that some
10 of the inspectors in his district have, on occasions,
11 found as much as five percent methane in the belt
12 conveyor entry. Now, that wouldn't be continuing, on
13 a continuing basis, but occasionally would find
14 certain amounts of methane occurring that raised a
15 certain amount of concern.

16 Bill Knepp, who is assistant district
17 manager for technical services in District 9,
18 mentioned high methane contents in the belt entries at
19 the mines of the Mid-Continent Coal Company near
20 Carbondale, Colorado. In those mines, they actually
21 went to monitoring the methane in the belt conveyor
22 entries because there was a significant amount of
23 methane occurring in that particular case.

24 Additional information on gas liberation in
25 the belt entry was found in a publication by Robert

1 Krog, and I believe the authors of that publication
2 were Krog, Schatzel, Garcia, and Marshall, and that
3 reference is given in the discussion section.

4 As I understand it, those emissions -- they
5 found that, in studying a particular mine in the
6 Pittsburgh seam, that about 20 percent of the total
7 methane occurring in the working section was actually
8 being derived from the air flows from the belt entry.

9 In this particular case, the mining company, as I
10 understand it, the mining company was basically
11 unaware of how much of the methane in their working
12 areas was being contributed by the ventilation air
13 being coursed through the belt entry.

14 So, in that particular mine, it made a lot
15 of sense for them to reverse the air in that belt
16 entry and, therefore, reduce their gas in the working
17 section.

18 So, in conclusion of what I did find in this
19 particular case, we did notice there were some mines
20 where there were significant amounts of methane being
21 generated in the belt entry. It would sometimes be
22 carried to the face and would, therefore, result in
23 additional methane being carried into the working
24 section, and, in some cases, maybe this was creating
25 some problems.

1 So, in this particular case, this particular
2 recommendation was put together, and it basically
3 recognizes that, in some mines, this can affect the
4 ability to keep methane below one percent at the
5 working face.

6 Now, in our recommendation, we're
7 recommending that the MSHA district manager should
8 have the power to require reversal of the ventilation
9 air on the belt conveyor if the belt air is being
10 utilized at the face, and this is causing difficulty
11 in keeping the methane below one percent in the face
12 area.

13 Now, in addition, it's recommended that the
14 district manager regularly scrutinize working sections
15 where the belt air use at the face has a methane
16 reading at or above a half a percent methane measured
17 200 feet out-by the end of the belt so that you could
18 prevent the gas liberated on a belt conveyor from
19 reaching the working area of the mine in this
20 particular case.

21 So, in this situation, what we basically
22 know is that, on occasions, methane gas generated in
23 the belt conveyor entry can cause some problems at the
24 working face.

25 Okay. This is the basic discussion now.

1 Would anybody like to start with questions or comments
2 concerning this particular recommendation?

3 DR. WEEKS: I have a very simple question.
4 Two hundred feet out-by the end of the belt; that
5 would be the end of the belt that's in the section.
6 Is that right?

7 DR. BRUNE: By the tail-piece.

8 DR. MUTMANSKY: This is the belt coming up
9 the belt entry to the section, Jim.

10 DR. WEEKS: And it's 200 feet from where?

11 DR. MUTMANSKY: It's 200 feet out-by the
12 tail of the belt.

13 DR. WEEKS: Okay. All right. I just wanted
14 to make sure I understood what you were talking about.

15 DR. MUTMANSKY: Okay. Do you have any
16 reaction to that?

17 DR. WEEKS: No, not yet.

18 MR. MUCHO: The first problem I see, Jan, is
19 prescribing the action the district managers should
20 take. That's going to have a big consequence. I've
21 got a problem with gas in the face. I'm using belt
22 air to try and address that, and now you're going to
23 turn around and take that air off me and add air down
24 the belt. I really have a real problem, the point
25 being that what we need to say there is, "The district

1 manager has the power to take action to require
2 changes to the system."

3 For example, the main thing I may want to do
4 is actually increase the air on the belt to address
5 that problem.

6 DR. MUTMANSKY: Okay.

7 MR. MUCHO: In fact, that's probably what I
8 should do. In some of these situations, Ketchum,
9 where really it's the mine operator has too little
10 total air in the belt entry that causes this kind of a
11 problem.

12 DR. MUTMANSKY: Okay, Tom. That may be
13 correct; however, you won't be able to do any good by
14 doing that if you're robbing air from the primary
15 intake.

16 MR. MUCHO: Yes, but, again, our problem
17 here with this recommendation is prescribing how
18 that's to be done. There are many, many, many, many
19 ways that somebody could think of to address it, and
20 for us to prescribe that, we're really getting into a
21 can of worms.

22 DR. WEEKS: Well, it seems to me that the
23 recommendation presumes that the source of the gas is
24 coming from the belt, and the source could be
25 elsewhere. Right?

1 DR. MUTMANSKY: Well, it either comes from
2 the broken coal on the belt, Jim, or from the ribs of
3 the belt entry. I guess it could be from the roof or
4 floor as well.

5 MR. MUCHO: This also assumes, though, the
6 point that Jim was making: Somebody has made that
7 analysis and understands that.

8 DR. WEEKS: I think the analysis should come
9 first.

10 MR. MUCHO: Yes.

11 DR. MUTMANSKY: Jürgen?

12 DR. BRUNE: I would like to add to your
13 comments earlier. The research paper that was done by
14 Krog and the others found that about three-tenths of a
15 percent, if I remember correctly, of methane was
16 contributed by the belt, and that led to the longwall
17 gassing off or the longwall methane monitor either on
18 the tail-piece of the longwall section or the monitor
19 in the shear gassing off at above one percent methane
20 in certain situations, particularly when the shear was
21 traveling towards the face.

22 I also want to add to that that, as far as
23 my knowledge goes, the company in question has since
24 reversed the ventilation system and is coursing the
25 belt air away from the face.

1 On the particular recommendation, I agree
2 with Tom. We should be careful requiring or
3 recommending what the district manager ought to do. I
4 would go simply to say, like we have in prior
5 recommendations, that the district manager shall have
6 the power to revoke approval of the ventilation plan
7 because that forces the operator to get in and say,
8 "Hey, what are we going to do about this?" and makes
9 some real improvements, some of which might be
10 actually to run more air across the belt because you
11 have a fixed amount of methane that comes off the belt
12 and off the belt into the ribs and roof and floor, and
13 if you are able to course more air to the face, then
14 you could actually succeed in reducing that.

15 So there's a variety of possibilities that
16 the operator has, and I think we should leave it to
17 them and the responsible inspectors to work out what
18 is the best course of action we have.

19 MR. MUCHO: The power within a ventilation
20 plan, that's already in there. The wording, I think,
21 ought to be what we used with methane: "adjustments
22 to the ventilation system" kind of thing.

23 DR. MUTMANSKY: I think you have reasonable
24 objections, and I think what we have here is some way
25 of implementing those on a workable basis.

1 I would want to mention to you that, in
2 general, if you're going to add air to the belt entry,
3 it has to be robbed from somewhere else, or you have
4 to increase the fan settings to provide more air, one
5 or the other, and as long as you can do that, then it
6 makes perfect sense to do it that way.

7 DR. TIEN: Is it also possible because of
8 the increased availability of the belt entry, the fan
9 is able to pull more? You lower the resistance.
10 Right?

11 DR. MUTMANSKY: That is correct. That is
12 correct.

13 DR. TIEN: So, probably, we're not robbing.
14 We're just reallocating or something.

15 DR. MUTMANSKY: That is correct.

16 MR. MUCHO: -- off the mains into the belt
17 entry, which is one of the options.

18 DR. MUTMANSKY: That's all the more reason,
19 though, to leave the options open.

20 MR. MUCHO: That's correct.

21 DR. MUTMANSKY: That does support the
22 concept that we should leave options open so that any
23 viable option available can be used to reduce the
24 methane content.

25 Okay. That being the case, we need, again,

1 to construct the recommendation in such a way that we
2 meet all of the needs that you're expressing. Jerry?

3 DR. TIEN: Would you elaborate? What is so
4 particular about that?

5 DR. MUTMANSKY: There is nothing that
6 prevents us from changing that, I don't think. Two
7 hundred feet from the tail of the belt would give a
8 more accurate reading of methane than right at the
9 tail because at the tail there would be other flows of
10 air coming in perhaps from cross-cuts or something.
11 That's the only reason I used 200 feet.

12 Now, 200 feet maybe makes sense in some
13 cases and not in others, but I thought that would be a
14 more accurate place of measuring methane content.
15 Yes. Felipe, go ahead.

16 DR. CALIZAYA: Is there any reason for
17 limiting this 0.5 methane?

18 DR. MUTMANSKY: There isn't any critical
19 logic to that. You can measure and limit it to some
20 other value.

21 DR. CALIZAYA: I agree with 0.5 because that
22 gives you some room for the maximum limit of one that
23 we want to have at the face. We don't like to live
24 with one. We want to live with less than that, 0.8 or
25 something. So this gives you some freedom from that.

1 DR. MUTMANSKY: I think it's a reasonable
2 trigger point. Actually, as Jürgen pointed out in the
3 study he did at NIOSH, it was only a couple of tenths,
4 but the quality of the belt air was so low that it was
5 aggravating the situation on the face.

6 But 0.5 sounds like a point where someone
7 had to look at it and do the calculations. I have 0.6
8 here in some quantity, and I have another quantity
9 over here, one-tenth, some quantity, calculate that up
10 and see, am I aggravating, or am I helping? It seems
11 like a good trigger point.

12 One thing about it is that if you're having
13 gas-outs at the face, then it is very important to
14 understand that one way of addressing that would be to
15 look at the belt area. You don't have very many ways
16 of addressing that.

17 You can degas, of course, and, in some
18 cases, degassing may be the appropriate action to
19 take, but once you're in the section, and you're
20 working, and you have a methane problem, and it's too
21 late to degas, and you have to do whatever is
22 necessary within the ventilation system to adjust the
23 situation.

24 Okay. Are we -- go ahead, Felipe.

25 DR. CALIZAYA: You mentioned the mine gases,

1 and we're talking about methane. Have you considered
2 the possibility of hydrogen sulfide maybe or whatever
3 gases you might have in mines?

4 DR. MUTMANSKY: Well, I have not considered
5 hydrogen sulfide specifically, although I do know that
6 some mines have that as a problem. Maybe we should
7 change this to mine methane.

8 DR. BRUNE: Yes. Hydrogen sulfite is
9 typically a gas. If it occurs, it occurs at the face
10 itself during cutting. Am I correct?

11 MR. MUCHO: Not correct.

12 DR. MUTMANSKY: Hydrogen sulfide is very
13 similar to methane. Just like we have at the face on
14 a longwall methane being produced mainly at the shear,
15 a lot of it coming off on the pan line, a lot of it
16 coming off as we go through the crusher. Depending on
17 the coal bed and its residual characteristics, coming
18 off the belt and so forth. Hydrogen sulfite acts the
19 same way.

20 DR. MUTMANSKY: It is. It's strata gas
21 released in much the same way.

22 MR. MUCHO: It's released by the breaking of
23 the coal, it emanates up. It does that, but, in
24 general, from the couple of investigations I've done,
25 which were at belt air mines, they helped the hydrogen

1 sulfide situation. It's the same argument as the
2 methane. It helped more than it hurt to use the belt
3 air, even though hydrogen sulfide is being generated
4 along that trail.

5 DR. MUTMANSKY: Okay. Jerry, do you have a
6 thought?

7 DR. TIEN: Yes. So along the same line, are
8 we comfortable -- Bill probably could help us -- using
9 the gas and the methane interchangeably? Should we
10 change that to "Mine Methane" or "Mine Gases"? Title.
11 That's your job.

12 DR. BRUNE: I think the main focus of it is
13 methane, so we shouldn't just title --

14 DR. MUTMANSKY: The main focus is methane, I
15 would say. I'm comfortable changing it to "Mine
16 Methane," I think.

17 DR. TIEN: And there are a few other places
18 also shows to be used gas.

19 DR. BRUNE: It's methane gas.

20 DR. TIEN: In quite a few places, there's
21 gas.

22 DR. MUTMANSKY: Yes.

23 DR. BRUNE: But it becomes clear that we're
24 talking about methane, not other gases.

25 DR. MUTMANSKY: Methane gas; you can take

1 out the word "gas," if you want to there, Bill. "The
2 methane released."

3 DR. TIEN: And the second line from the
4 bottom.

5 DR. MUTMANSKY: The second line from the
6 bottom, yes. Take out "gas" and put in "methane," I
7 guess, would be more appropriate.

8 DR. MUTMANSKY: Okay. Now, does anybody
9 have any arguments with the 0.5 percent methane, or is
10 that just going to be a trigger point that's your
11 reasonable trigger point? Are you okay with that?

12 DR. MUTMANSKY: Okay.

13 DR. TIEN: Shall we also come back to
14 revisit our face area?

15 DR. MUTMANSKY: Our face area, yes. Below
16 one percent at the working face. We want to change
17 that to one percent in the working section. Do you
18 want to call it that?

19 MR. MUCHO: I think, in this case, it's
20 appropriate, "working face."

21 DR. BRUNE: It's the face, really, because
22 that's where you measure methane.

23 DR. MUTMANSKY: Okay. All right.

24 DR. BRUNE: We still need to rework that
25 power to require what's highlighted there.

1 DR. MUTMANSKY: Power to require. Okay.
2 Give us your thinking on the wording.

3 MR. MUCHO: "Require adjustments to the
4 ventilation system."

5 DR. MUTMANSKY: Okay. "The district manager
6 shall have the power --"

7 DR. BRUNE: No. Just say "shall have the
8 power," "shall require adjustments in the ventilation
9 system."

10 DR. MUTMANSKY: "Shall require adjustments
11 in the ventilation system." And we can take out air
12 on a belt conveyor there, I think.

13 DR. BRUNE: Yes.

14 DR. MUTMANSKY: Okay. "In addition, it is
15 recognized that we scrutinize any working section at
16 or above ...

17 Okay. Now, do we need further refinements
18 in that? Let's read it through and see if there's
19 additional wording changes or logic changes here.

20 "The methane released from broken coal on
21 the conveyor belt and from a solid coal rib." There
22 is a problem there, "solid coal rib." Why don't we
23 just simply say "and from the ribs, roof, and
24 floor --"

25 DR. BRUNE: "From the belt entry."

1 DR. MUTMANSKY: "-- and from the belt
2 entry --" okay, that's simpler "-- represents a
3 problem in some mines that can affect the ability to
4 keep the methane below 0.1 percent in the working
5 face. It is, therefore, recommended that the MSHA
6 district manager shall require adjustments to the
7 ventilation system if the belt air is being utilized
8 on the working section and is causing difficulty in
9 keeping the methane below 0.1 percent in the face
10 area.

11 "In addition, it is recommended that the
12 district manager regularly scrutinize any working
13 section where the belt air used on the working session
14 has methane readings at or above 0.5 percent methane
15 measured 200 feet out by the end of the belt to
16 prevent the methane --" Should we say "tail of the
17 belt" there instead?

18 DR. BRUNE: "By the tail-piece" would make
19 more sense.

20 DR. MUTMANSKY: "-- outby the tail-piece of
21 the belt --" okay "-- out-by the tail-piece of the
22 belt to prevent the methane liberated on a conveyor
23 belt or from the belt entry from increasing the
24 methane content that the workers face.

25 Okay. Now we've reworked the words a number

1 of times. Are there any further changes that are
2 necessary here?

3 DR. BRUNE: I think we had the same
4 discussion about the dust with respect to increasing
5 the methane content at the working face. If we have
6 zero methane coming on the intake, and let's say we
7 have both intake and belt contributing 50,000 cfm in
8 equal quantities to the face, and we have any amount
9 of methane in the belt entry but zero methane on the
10 intake, then any methane coming from the belt entry
11 will, de facto, increase the methane content on the
12 face as opposed to if we have the belt ventilate
13 outby, so we have to kind of put a cap on that.

14 DR. MUTMANSKY: You're right about that.

15 MR. MUCHO: It's a tricky problem. It's
16 what happens when everything finally gets to the shear
17 location or the methane monitor on the tail. It's an
18 interaction that is a little bit difficult.

19 DR. BRUNE: Can we add "beyond statutory
20 limits" to the end of that sentence? Then we're
21 there, beyond the 0.1 percent.

22 DR. MUTMANSKY: Is methane described in the
23 statute?

24 DR. BRUNE: Yes.

25 DR. MUTMANSKY: Beyond regulatory limits?

1 DR. BRUNE: Beyond one percent. Let's call
2 it that.

3 DR. MUTMANSKY: Okay. What was the final
4 opinion on wording?

5 DR. BRUNE: That the working face be beyond
6 one percent, I would suggest, because that's
7 consistent with --

8 DR. MUTMANSKY: Okay. "Beyond the 1.0
9 percent limit. Is that what you want to say? Or just
10 "beyond one percent."

11 DR. BRUNE: "Beyond one percent is fine."

12 DR. MUTMANSKY: "Just beyond one percent."

13 DR. BRUNE: That says it.

14 DR. MUTMANSKY: Should we say "above one
15 percent" instead of "beyond"? "Beyond" is well
16 defined as "above."

17 DR. TIEN: Yes.

18 DR. MUTMANSKY: Jerry says yes. Jerry votes
19 yes. Is it better to say "above," or is it better to
20 say --

21 DR. BRUNE: That is fine with me.

22 DR. MUTMANSKY: "Above," okay.

23 DR. BRUNE: But if we say 1.0 percent there,
24 we ought to use the same digits of precision up above.

25 DR. MUTMANSKY: There you go. Okay. All

1 right.

2 DR. BRUNE: Line 3 as well, Bill.

3 DR. MUTMANSKY: Okay.

4 MR. MUCHO: If we want to stay consistent
5 with current regulations, 75.323 says "working place."
6 DR. BRUNE: So what?
7 DR. WEEKS: Let's ignore that.
8 MR. MUCHO: It's directly parallel to the
9 one percent requirement.

10 DR. MUTMANSKY: Okay. There is another
11 place up above on the third line there, Bill.

12 DR. BRUNE: Line 3 also.

13 DR. MUTMANSKY: If we want to be so
14 consistent, we should do it there also.

15 Okay. Do we have any other changes?

16 DR. BRUNE: Let's read through again.

17 DR. MUTMANSKY: Do we want to read it again
18 or not? No. I get the general idea. You don't want
19 to read it again. Okay. I think the words are much
20 better -- I think it's much better expressed now.

21 Are we ready to call for the vote on this
22 one?

23 DR. WEEKS: Yes.

24 DR. MUTMANSKY: Okay. Felipe?

25 DR. CALIZAYA: Yes.

1 DR. MUTMANSKY: Jim?

2 DR. WEEKS: Yes.

3 DR. MUTMANSKY: I vote yes. Jerry?

4 DR. TIEN: Yes.

5 DR. BRUNE: Yes.

6 MR. MUCHO: Yes.

7 DR. MUTMANSKY: Thank you.

8 We have one more recommendation that
9 involves MSHA inspections of belt lines using air at
10 the face.

11 Now, once again, I'm going to deliver the
12 initial support for this proposal, and we're basically
13 indicating our concern about inspecting mines where
14 belt air is being used at the working face. As you
15 probably recognize, the impetus for this
16 recommendation comes from a study of the report of
17 investigation of the Aracoma Alma No. 1 Mine fire that
18 occurred in January 2006.

19 In that report, there were quite a large
20 number of significant and substantial violations of
21 federal mining regulations that were revealed after
22 the accident. Many of these violations should have
23 been identified in the inspections that occurred
24 previous to the mine fire.

25 This raises a question, of course, of why

1 these violations were not discovered during the
2 inspection visits to the mine. The recommendation was
3 drawn up by myself, and, at this particular time, I
4 tried to figure out basically how inspections normally
5 occur, and what are the inspection practices at
6 various types of mines?

7 It's fairly obvious that there are a large
8 number of different types of coal mines, some using
9 pillar, some using longwall; some using belt air at
10 the working section, and some not using belt air at
11 the working section. So I thought it might be
12 interesting to know whether or not there were any set
13 procedures used for each type of mine.

14 So I did talk to a number of different
15 people, people who are either working inspectors or
16 who are involved in the districts and who are involved
17 in the inspections in one way or another.

18 In my investigations, I found that, in the
19 not-too-distant past, MSHA had tried to do some sort
20 of computerized reporting systems, and it seemed to me
21 as though a computerized system might make a lot of
22 sense because you could have a computerized list of
23 inspection requirements for each type of mine.

24 What I found was that the computerized
25 tracking system, as they called it in this particular

1 case, was a system that had been attempted by MSHA,
2 and then was dropped because of a number of different
3 reasons. Bill Knepp told me that Allen Dupree was one
4 of the persons I really should be talking to because
5 the computerized system was something he was quite
6 familiar with, and he was also quite familiar with the
7 reasons that the computerized tracking system on mines
8 was dropped.

9 Basically, my discussions with Mr. Dupree
10 indicated that the system ran into trouble because,
11 number one, it was not user friendly, and, number two,
12 it, more or less, required inspectors to go
13 underground, take notes about the mining system, and
14 then come out and enter them into a computer system.

15 There was a certain amount of reluctance on
16 the part of the inspectors to do this, and it was,
17 more or less, doubling the amount of work that they
18 had to do, and, therefore, they reverted back to
19 simply using the inspector notes as the inspection
20 report for the individual mine.

21 I basically believe that this indicated to
22 me that there has to be some sort of a regimented
23 procedure that was required for inspectors when they
24 go into an underground mine. That regimented
25 procedure may involve different types of mines, and,

1 therefore, there may be a set of measurements, a set
2 of inspections that are required for one type of mine
3 that are not required in another type of mine. But I
4 think it's perfectly possible for them to have a
5 computerized set of measurements that must be made in
6 each mine, a computerized set of inspections that have
7 to be completed in each type of mine.

8 So my recommendation would be that we
9 recommend that a more structured and regimented
10 procedure be instituted to help mine inspectors
11 complete their inspection duties. It does not
12 necessarily have to be computerized after the fact,
13 but I think it's necessary that, as you walk into each
14 mine, you know exactly what you must inspect for, and
15 you must report on each one of these points when you
16 submit your report to the district manager.

17 Now, what does that do? Well, hopefully,
18 what it does is it does not allow the inspector to
19 overlook certain aspects of the mine, and it could be
20 any number of different things.

21 For example, if, at Aracoma, the inspectors
22 were required to test the firefighting system, whether
23 or not there is water in the pipes, so to speak, that
24 would have avoided one of the problems.

25 The second thing would have been if they had

1 gone into Aracoma and been required to ensure that the
2 air coming off the belt is kept in a separate entry
3 from the air in the primary escapeway, then the
4 escapeways would have held their integrity all the way
5 to the working faces, and, of course, it's so obvious
6 to us after the fact. After the fact, it's obvious,
7 but if there had been a more regimented system,
8 perhaps the inspectors would have been held to a
9 better standard of inspection.

10 So I submit to you that perhaps a regimented
11 system is required for each type of mine, and that can
12 be a computerized set of questions or a computerized
13 set of checkoffs that the inspector must complete
14 before the inspection of the mine is completed.

15 Now, this recommendation is really aimed at
16 the mines that are using belt air in the working
17 sections, but, basically, these can be applied to any
18 underground coal mine. I would suggest that we
19 recommend that it be applied to all coal mines, that
20 there be regimented procedures that an inspector must
21 follow.

22 Are there any comments now on my thinking?
23 Jerry?

24 DR. TIEN: I'm just curious. Can you share
25 with us a little bit more about the reason for

1 dropping the computerization system because I found
2 out it's quite interesting. You do not have to be a
3 computer expert to use some of the things. They do
4 that in Wal-Mart, in restaurants, in grocery stores.

5 DR. MUTMANSKY: Okay. First of all, I'm not
6 certain I'm the right person to answer that question.
7 Somebody from MSHA could probably answer it better
8 than I can. Mr. Dupree, who gave the reasoning to me,
9 gave me some thoughts about that. Perhaps we could
10 have comments from somebody in MSHA. Bill, are you
11 the right person?

12 DR. TIEN: Yes, because the reason was
13 given, "user friendly," is relatively easy to fix.

14 DR. MUTMANSKY: Tom, you're smiling. That
15 indicates you have something to say.

16 MR. MUCHO: Some of my observations are just
17 some random sampling of the use of the computer by
18 MSHA inspectors. They have been a little bit
19 reluctant to do it, even inputting the citations and
20 so forth. It's not something that they had done in
21 the past. I've been around many complaints about
22 having to do that.

23 It's just fact. If you look at age
24 demographics and what they have done in the past, and
25 now to start working away at the laptop, I think it's

1 pretty understandable and natural that there would be
2 some reluctance to do that. That's what I've
3 observed.

4 DR. MUTMANSKY: But that doesn't negate the
5 use of a set of requirements. As he goes into the
6 mine, he has a set of requirements. Even if you're
7 not a computer-oriented person, you could still
8 respond to a written set of requirements.

9 MR. MUCHO: I've done a lot of safety
10 inspections and a lot that's in my career has counted
11 on me to do that, and nothing was more helpful than
12 checklists and going on. The other side of that might
13 be "responsibility and oversight of things coming back
14 the other way."

15 Quite frankly, something we have to do is
16 oversee each other sometimes. So I think it's a very
17 beneficial suggestion. Just relying on the inspector
18 notes -- that's sometimes not complete, to the extent
19 that if you had, as you point out, a regimented,
20 structured process that they were going through.

21 DR. MUTMANSKY: Jim?

22 DR. WEEKS: I think the word "regimented" is
23 troublesome. Folks will see it and dig in their
24 heels, especially people like inspectors. They are
25 out there, they have to deal with things all of the

1 time, and they have developed a way of doing their
2 job, and I think they might resist that word. If they
3 are going to not use computers, I can imagine they are
4 not going to respond well to that. So I think it
5 would be sufficient to say "structured."

6 DR. MUTMANSKY: I have no objection to that,
7 Jim. That's perhaps fine.

8 Jürgen, you've been wanting to say
9 something.

10 DR. BRUNE: I think the fundamental question
11 is not whether they use computers or not for the
12 structured approach. You can do it either way.

13 I think the fundamental thing is that a more
14 structured or more diligent method of inspection may
15 be called for.

16 The question that I have, and Tom alluded to
17 the matter of checklists, if we give the inspector a
18 checklist, is that a way for him to check off the
19 things on the list and potentially ignore and overlook
20 other things that he should address, and does that
21 limit the inspector in his expert approach to finding
22 violations and finding sources of hazards for the
23 miners?

24 I'm not sure if we are limiting the quality
25 of inspections by giving inspectors rigorous

1 checklists to work from, and basically once he has got
2 the checklist off, he is free to go home.

3 DR. WEEKS: The alternative is to take Part
4 75, you know, paragraph by paragraph, and go from
5 beginning to end, but then you've got a checklist
6 that's the size of a phone book.

7 DR. MUTMANSKY: That's correct.

8 MR. MUCHO: My experience doing safety
9 inspections, we would target an area and, in fact,
10 often target specific aspects of safety to do that. I
11 mentioned earlier one thing on fire prevention, fire
12 preparedness along belt lines, and we would use
13 checklists to go in and do that. But in my
14 experience, we would walk into a lot of other things.
15 We weren't blind what we walked into, and often we
16 would find many things totally unrelated to what our
17 main objective was.

18 You don't have blinders on. I don't think
19 inspectors have blinders on because they have a
20 checklist of things they were looking at. I don't
21 really think that would be an issue.

22 DR. MUTMANSKY: The design of a structured
23 procedure would certainly have to be done by MSHA
24 personnel. There is no question about that, and the
25 most knowledgeable people can probably do a pretty

1 good job at this in such a way that all of the major
2 points are covered. That doesn't mean that inspectors
3 should not cite other things that they find along the
4 route, but I just don't know any other way of trying
5 to address this problem of inspectors who, for one
6 reason or another, have overlooked serious problems,
7 particularly the SNS problems, in many mines.

8 If you don't provide him a structure, you're
9 throwing your chances up in the air. You're rolling
10 dice, I think. I would prefer to have loaded dice
11 here, if you ask me. I would like to see them have a
12 structure they can follow. In some ways, you could
13 say that an inspector would look at this and say, you
14 know, "Don't they understand that I have certain
15 expertise?"

16 But I don't think that's the point. I think
17 the point is that we want to help them do their job
18 better. We don't want them to overlook things that
19 are important, and if we don't provide that structure,
20 it's perfectly possible for any person, no matter how
21 diligent, to overlook some things. If you're human
22 beings, you can overlook some things.

23 Structure provides you with an aid that
24 helps you do your job, that doesn't work against you;
25 it works with you. It tries to make you more

1 efficient and to do your job better rather than an
2 unstructured approach. Jürgen?

3 DR. BRUNE: I have a question regarding the
4 inspector's notes, actually two questions. Are the
5 inspector's notes a matter of public record, and also
6 is there a review process, either internal or
7 external? Are they subjected to any audits by either
8 the inspector general or any outside parties? That
9 would be helpful to understand.

10 DR. MUTMANSKY: I don't know the answers.

11 DR. BRUNE: Maybe we can talk to the lawyers
12 about that.

13 MR. KALICH: Well, inspector's notes are a
14 matter of public record. They are able to be obtained
15 through the FOIA process. Inspector's notes; their
16 supervisors provide regular audits, say, of the notes
17 in the inspection process. Not every inspection
18 receives that scrutiny, but a number of them will
19 throughout the year, and then, of course, they are
20 subject to higher level reviews and audits also.

21 DR. BRUNE: Thank you, Mike.

22 DR. MUTMANSKY: Okay. Mike, don't leave
23 yet. I have a question for you also. I just want to
24 get your input on this. Is this a workable thing, for
25 the district managers to have some sort of set lists

1 where everybody goes in? Is it workable and helpful
2 to the inspector?

3 MR. KALICH: We have checklists for various
4 things that are looked at in the mine, and I think a
5 checklist for inspection of the AMS system, CO-
6 monitoring system is certainly a useful tool.
7 Naturally, there's all levels of experience here with
8 the inspectors. Some inspectors would just, through
9 their experience, naturally go above and beyond a
10 list. Some inspectors that are newer would probably
11 find a list more useful in helping them perform the
12 inspection so they wouldn't miss an item that should
13 be looked at.

14 DR. MUTMANSKY: Thanks, Mike. Any other
15 questions? Felipe?

16 DR. CALIZAYA: I have one question.

17 DR. MUTMANSKY: Did you want to ask this of
18 Mike?

19 DR. CALIZAYA: Yes.

20 DR. MUTMANSKY: Yes.

21 DR. CALIZAYA: It has to do with the
22 inspection team. Who does the inspection, physically,
23 one MSHA inspector and one from the mine operator, the
24 area owner? Do you have a third person? Tom, you
25 mentioned that you did several inspections. I did

1 several inspections, but we always had a third person,
2 a third eye, which is not necessarily --

3 MR. KALICH: The MSHA inspector at the mine,
4 by the Act, is required to offer the miners an
5 opportunity to travel with him, and, in most cases, a
6 representative of the company would also travel with
7 the inspector.

8 So I would say, in most instances, you would
9 normally have a representative of the operator
10 traveling with you as an inspector, and you would,
11 most likely, also have a miners' representative travel
12 with you, maybe not in all circumstances, but in a
13 number of circumstances, you would.

14 DR. MUTMANSKY: Mike, how many people
15 normally work on a team? There are not individual
16 inspectors; there are generally a team. Is that
17 correct?

18 MR. KALICH: As far as conducting an
19 inspection of what?

20 DR. MUTMANSKY: Well, let's assume it's a
21 large coal mine, and your job is to go to that coal
22 mine on a given Monday, and you're going to do an
23 inspection. How many inspectors go on that?

24 MR. KALICH: One. One inspector would
25 normally be assigned to a larger coal mine, and he

1 would go to that mine every day throughout the quarter
2 in order to make a complete inspection of that coal
3 mine. Of course, some larger mines may require some
4 assistance from another inspector from the field
5 office.

6 You have one-section coal mines that one
7 inspector might be able to complete in a week, and you
8 have other coal mines that are complex, that would
9 take one inspector, or maybe even two inspectors, the
10 entire quarter to complete the coal mine.

11 DR. TIEN: Are there cases that if you were
12 going to inspect an electrical system, you would have
13 a team of inspectors doing just that?

14 MR. KALICH: Well, normally, we have
15 electrical specialists, so if you have some particular
16 questions about the electrical system, you would ask
17 for that specialist to come to the mine. The regular
18 inspector would ask for that specialist to come to the
19 mine, and he would perform the inspections of the
20 electrical system; the same way with the roof control,
21 the ventilation, depending on what area the inspector
22 would want some assistance in.

23 DR. MUTMANSKY: Does the ordinary inspector
24 who goes into a mine, as you say, for a period of
25 days, a long period of days perhaps, does he do

1 ventilation measurements?

2 MR. KALICH: Yes. He'll take ventilation
3 measurements, the gas measurements. He would most
4 likely be the person that would be taking all of these
5 measurements.

6 DR. MUTMANSKY: All of the measurements.

7 MR. KALICH: The specialist might be called
8 in for maybe to help do a ventilation survey or a
9 study on a particular section, or if there would be a
10 particular area of concern where he would need some
11 additional expertise.

12 DR. MUTMANSKY: One final question, I think,
13 from myself. As I understand it, in talking to Mr.
14 Dupree, the reason for the original computerized
15 system was for tracking a mine's violations over a
16 period of time so that you could review their history
17 over the last several years. Is that the basic reason
18 that they have a computerized system, or were there
19 other reasons as well?

20 MR. KALICH: Not just for the violations.
21 The violations would be trackable without this
22 inspector tracking system. It was more to try to
23 streamline the amount of notes that needed to be taken
24 and to enable the field office supervisors, the front
25 line supervisor, and the second-level supervisors to

1 be able to look at the inspection, and they would be
2 able to view the inspection report electronically, and
3 the idea behind it was to streamline the process.

4 DR. MUTMANSKY: And I take it that it wasn't
5 streamlined at all. Is that what you're saying?

6 MR. KALICH: As it turned out, it increased
7 the workload and slowed the process, but we're in the
8 process of revisiting that to attempt to, again,
9 streamline the process, and, in fact, it's moving more
10 toward a checklist type of system, something that you
11 were speaking to earlier.

12 DR. MUTMANSKY: Jerry, go ahead.

13 DR. TIEN: Yes. You just answered some of
14 my questions. The issue is totally out of the
15 question. So you are revisiting. I can just see so
16 many benefits, advantages that we can take advantage
17 of the computerized system.

18 MR. KALICH: And it is being revisited to
19 try to have a more manageable system than the original
20 was laid out. The original turned out to be a very
21 complicated and layered system that wasn't user
22 friendly to inspectors that don't have a lot of
23 computerized experience.

24 DR. MUTMANSKY: I'm certain Mike would
25 welcome any other questions you might have, I think.

1 Any other questions?

2 Mike, thank you very much. I appreciate
3 your help. You did lend some clarity to this process,
4 and it's helpful for us. Thank you.

5 MR. KALICH: You're welcome.

6 DR. TIEN: Jim has a question.

7 DR. WEEKS: I didn't have a question for
8 Mike. It was just sort of an observation. You
9 mentioned the Aracoma report, to begin with. You
10 know, let's just take the problem of the belt that was
11 out of alignment at that mine. You don't need to be
12 an experienced mine inspector to notice something like
13 that, and it remains something of a mystery to me as
14 to how did that happen.

15 The inspectors are in that mine. The belt
16 was out of alignment. Nothing was done about it. You
17 know, I don't know the answer to that question. I
18 don't know whether a more structured approach would
19 deal with that kind of a problem or what, but, you
20 know, I would be curious to see how that particular
21 oversight occurred.

22 DR. MUTMANSKY: Well, essentially, Jim, just
23 moving up the tail-piece during the normal course of a
24 longwall operation could, at any given time, bring the
25 belt out of alignment. It's just a matter of the

1 attendant and the crew to move the tail-piece up and
2 realign the belt every time. There is very little
3 necessary to bring a belt out of alignment.

4 DR. WEEKS: That's not the issue. The issue
5 is how the inspector didn't notice it.

6 DR. MUTMANSKY: Well, Jim, that speaks to
7 the fact that we should try to depend on having
8 experienced inspectors, and a structured system should
9 be able to help him, but it's not going to solve all
10 problems. This is not a cure-all for all problems of
11 inspection. It's obvious that we need good people in
12 those jobs, but I don't think it's going to hurt the
13 structure.

14 DR. WEEKS: No. I don't either. I agree
15 with that.

16 DR. MUTMANSKY: All right. Now that we've
17 had some chance to think about this, do we want to
18 move ahead and start looking at this inspection
19 recommendation?

20 Okay. Do I hear any call for changes or
21 improvements in the wording here? Jerry, what do you
22 say? Do you want me to read it?

23 DR. TIEN: Yes.

24 DR. MUTMANSKY: Thank you, Jerry. "The
25 Technical Study Panel has considered the inspection of

1 mines utilizing belt air on the working section as a
2 priority that must be addressed. Accordingly, the
3 panel recommends that a more structured procedure be
4 instituted to help mine inspectors complete their
5 inspection duties with reduced chances of overlooking
6 the important aspects of the ventilation pattern and
7 checking on the essential design features of the AMS
8 and CO monitoring systems. This recommendation is
9 aimed at the mines using belt air at the working
10 section but can be applied to any underground coal
11 mine."

12 DR. BRUNE: Just one minor change to stay in
13 a consistent tense, in the first sentence, "The
14 Technical Study Panel considers the inspection of
15 mines," and so on, "a priority that must be
16 addressed," not "has considered."

17 DR. MUTMANSKY: I think that's a good
18 change.

19 DR. BRUNE: Because we always use the
20 present tense.

21 DR. MUTMANSKY: I think that's good. Thank
22 you.

23 DR. TIEN: Jan?

24 DR. MUTMANSKY: Yes.

25 DR. TIEN: Well, with the changing mode, the

1 third line from the bottom, the "AMS and CO monitoring
2 systems" are singular or plural?

3 DR. MUTMANSKY: Maybe they could be better
4 expressed by just simply saying, "By checking all of
5 the essential design features of the AMS and
6 monitoring instruments" perhaps.

7 DR. TIEN: "AMS."

8 DR. MUTMANSKY: Okay. "AMS." Okay.

9 MR. MUCHO: What does "design features"
10 mean?

11 DR. MUTMANSKY: What do you want it to mean?

12 MR. MUCHO: I don't know. That's why I'm
13 asking the question.

14 DR. MUTMANSKY: Well, I think you're saying
15 maybe we should be more specific as to what we're
16 looking for. Is that what you're saying?

17 DR. BRUNE: How about checking on the proper
18 function of the AMS?

19 MR. MUCHO: I think we're looking for a lot
20 of things here: function and parts of it, where we
21 get into the monitoring parts.

22 DR. MUTMANSKY: Checking on essential
23 components?

24 DR. BRUNE: I think if you say "checking on
25 the function of the AMS," you include it all because

1 if it's malfunctioning, or if it's not properly
2 designed so that it functions properly, then that
3 needs to be reviewed.

4 MR. MUCHO: I would just say "basics."

5 DR. MUTMANSKY: One of the things about it
6 is maybe we should take out the language about "AMS
7 system" altogether and just say that all inspections
8 should be better structured and should have a working
9 structure for each type of mine section and each type
10 of mining system.

11 DR. WEEKS: Well, but we're limited by our
12 charter to address belt air, and whatever
13 recommendation we made, it has to be linked to belt
14 air.

15 I've got another suggestion. All I know
16 about this computerized inspection system is what has
17 been discussed here today, but my guess is that the
18 reason that people didn't like it was because it made
19 their job more difficult and less easy. So I was just
20 thinking -- this may be just tokenism, but put some
21 language in here that says the intent is to make the
22 inspector's job easier so he can do it with greater
23 efficiency.

24 So let me just suggest -- I'm not thoroughly
25 pleased with this, but where it says, "Inspectors

1 complete their inspection duties with greater ease and
2 efficiency and reduced chances of overlooking," et
3 cetera. "With greater ease and efficiency and with
4 reduced chances of," et cetera.

5 DR. BRUNE: "[O]f overlooking safety
6 hazards." Could you live with that as a more catch-
7 all phrase?

8 DR. WEEKS: Yes. Okay.

9 DR. BRUNE: "[E]fficiency and reduced
10 chances of overlooking safety hazards." Then we can
11 leave the rest out and just say, "Essentially, that's
12 what the inspector does. He or she addresses the
13 safety hazards."

14 DR. MUTMANSKY: You're saying you want to
15 take the rest of that.

16 DR. BRUNE: Yes. Take the rest of that
17 sentence out, not restricting it to the ventilation
18 pattern. If you look at the ventilation pattern, you
19 will not address the belt misalignment and things like
20 that.

21 DR. MUTMANSKY: So that will take the AMS
22 wording out of it altogether.

23 DR. BRUNE: Right.

24 DR. WEEKS: Except for what's implied in the
25 first sentence.

1 DR. BRUNE: Yes. "[A]nd reduced chances of
2 overlooking safety hazards." It's not just "important
3 aspects," but just "safety hazards" right there. And,
4 again, "important" doesn't add any quality to that
5 sentence. It's important automatically.

6 DR. MUTMANSKY: Okay. Is everybody okay
7 with that now?

8 DR. BRUNE: It sounds a little better.

9 DR. WEEKS: One of our earlier
10 recommendations basically dealing with mine
11 maintenance urges the same sort of thing: Pay more
12 attention to inspecting belt entries for a variety of
13 things.

14 DR. MUTMANSKY: Okay. Do we want to read it
15 one more time and just see how it flows now?

16 "The Technical Study Panel considers the
17 inspection of mines utilizing belt air on the working
18 section as a priority that must be addressed.
19 Accordingly, the panel recommends that a more
20 structured procedure be instituted to help mine
21 inspectors complete their inspection duties with
22 greater ease and efficiency and reduced chances of
23 overlooking safety hazards. This recommendation is
24 aimed at the mines using belt air at the working
25 section but can be applied to any underground coal

1 mine."

2 I would guess we might want to say "in the
3 working section." Is everybody okay with that word
4 change? Any others?

5 DR. BRUNE: I have one letter change. If we
6 change, in the third line from the bottom, we change
7 the word "reduced" to "reduce" -- take the D off -- I
8 think that makes more sense: "[H]elp mine inspectors
9 reduce the chances of overlooking a safety hazards."

10 DR. MUTMANSKY: Yes, yes. I think you're
11 right.

12 DR. BRUNE: Even though, grammatically, both
13 of them are correct.

14 DR. MUTMANSKY: Correct, yes.

15 DR. TIEN: How about add a comma after
16 "efficiency"?

17 DR. MUTMANSKY: No.

18 DR. TIEN: There are too many "ands."

19 DR. BRUNE: No commas before "and".

20 DR. MUTMANSKY: Okay. Are we comfortable
21 now? Are we comfortable with the wording? Are we
22 ready for a vote?

23 Felipe, should we take a vote, Felipe?

24 DR. CALIZAYA: If you want to.

25 DR. MUTMANSKY: We're going to vote. Felipe

1 says yes. Okay, Tom. You vote first.

2 MR. MUCHO: Yes.

3 DR. MUTMANSKY: Jürgen?

4 DR. BRUNE: Yes.

5 DR. MUTMANSKY: Jerry?

6 DR. TIEN: Yes.

7 DR. MUTMANSKY: I vote yes. Jim?

8 DR. WEEKS: Yes.

9 DR. MUTMANSKY: Thank you very much. Before
10 we close for today, I just want to ask questions about
11 whether or not -- is there anything else that the
12 panel feels they should discuss at this point in time?

13 As you recognize, we're through the
14 recommendations that we have proposed, and tomorrow's
15 activity will be primarily oriented toward reworking
16 our discussion sections for each of these 20
17 recommendations and providing to the MSHA staff
18 additional references that we have cited in those
19 discussion sections.

20 One of the things that MSHA wants to do is
21 to provide any of the references that we have cited so
22 that people who are interested in reading those
23 references can access that information. So we need to
24 do that as well tomorrow.

25 Are there any comments by the panel members

1 at this point in time?

2 MR. MUCHO: None here.

3 DR. BRUNE: No.

4 DR. TIEN: No.

5 DR. MUTMANSKY: Well, I have one comment. I
6 would, again, like to thank all of those persons who
7 helped out in any way today, the MSHA staff members
8 who answered our questions and provided us with
9 support in our efforts. I would like to also thank
10 all members of the Technical Study Panel for your
11 cooperation in working through these recommendations,
12 compromising your own thoughts and trying to work with
13 the group to come up with the 20 recommendations which
14 we all unanimously supported. Thank you very much.

15 (Whereupon, at 4:18 p.m., the hearing in the
16 above-entitled matter was adjourned, to resume at
17 9:00 a.m. on Wednesday, September 19, 2007.)

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

CASE TITLE: MSHA: Technical Study Panel
HEARING DATE: September 18, 2007
LOCATION: Reston, Virginia

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the Department of Labor.

Date: September 18, 2007

Mona McClellan
Official Reporter
Heritage Reporting Corporation
Suite 600
1220 L Street, N.W.
Washington, D.C. 20005-4018

Heritage Reporting Corporation

(202) 628-4888